

## 1 STATE OF MICHIGAN

## 2 STATE OFFICE OF ADMINISTRATIVE HEARINGS AND RULES

3 In the matter of: File Nos.: GW1810162 and  
MP 01 2007

4 The Petitions of the Keweenaw  
Bay Indian Community, Huron Part: 31, Groundwater  
5 Mountain Club, National Discharge  
Wildlife Federation, and 632, Nonferrous  
6 Yellow Dog Watershed Metallic  
Environmental Preserve, Inc., Mineral Mining  
7 on permits issued to Kennecott  
Eagle Minerals Company. Agency: Department of  
8 / Environmental  
Quality

9 Case Type: Water Bureau  
10 and Office of  
Geological  
Survey

## 11 D R A F T T R A N S C R I P T

## 12 HEARING - VOLUME NO. II

13 BEFORE RICHARD A. PATTERSON, ADMINISTRATIVE LAW JUDGE  
14 Constitution Hall, 525 West Allegan, Lansing, Michigan  
15 Tuesday, April 29, 2008, 11:00 a.m.

16 APPEARANCES:  
17

18 For the Petitioner MR. ERIC J. EGGAN (P32368)  
Keweenaw Bay Indian Honigman Miller Schwartz and Cohn LLP  
Community: 222 North Washington Square, Suite 400  
Lansing, Michigan 48933-1800  
(517) 377-0726

21  
22  
23  
24  
25

1       For the Petitioner  
2       Huron Mountain Club:

MR. BRUCE T. WALLACE (P24148)  
Hooper Hathaway Price Beuche & Wallace  
126 S. Main Street  
Ann Arbor, Michigan 48104-1945  
(734) 662-4426  
and  
PETER K. DYKEMA (P37352)  
Winston & Strawn  
1700 K Street, N.W.  
Washington, DC 20006  
(202) 282-5773

3  
4  
5  
6  
7  
8       For the Petitioners  
9       Yellow Dog Watershed  
10      Preserve and National  
11      Wildlife Federation:

JEFFREY K. HAYNES (P25140)  
Beier Howlett, PC  
200 E. Long Lake Road, Ste. 110  
Bloomfield Hills, Michigan 48304  
(248) 645-9400  
and  
F. MICHELLE HALLEY (P62637)  
National Wildlife Federation  
PO Box 914  
Marquette, Michigan 49855  
(906) 361-0520

12  
13  
14  
15      For the Respondent  
16      Michigan Department of  
17      Environmental Quality:

ROBERT P. REICHEL (P31878)  
Assistant Attorney General  
Environment, Natural Resources and  
Agriculture Division  
6th Floor, Williams Building  
525 West Ottawa Street, PO Box 30755  
Lansing, Michigan 48909  
(517) 373-7540

18  
19      For the Intervenor  
20      Kennebott Eagle  
21      Minerals Company:

RODRICK W. LEWIS (P43968)  
CHRISTOPHER J. PREDKO (P56040)  
JEFFREY W. BRACKEN (P25648)  
Warner Norcross & Judd LLP  
2000 Town Center, Suite 2700  
Southfield, Michigan 48075  
(248) 784-5000

22  
23      RECORDED BY:  
24

Marcy A. Klingshirn, CER 6924  
Certified Electronic Recorder  
Network Reporting Corporation  
1-800-632-2720

25

## TABLE OF CONTENTS

**WITNESS: PETITIONERS**

KERRY D. WOODS, PH.D.

Direct Examination by Mr. Dykema . . . . .	187
Voir Dire Examination by Mr. Reichel. . . . .	201
Direct Examination by Mr. Dykema (continued). . . . .	201
Voir Dire Examination by Mr. Predko . . . . .	238
Direct Examination by Mr. Dykema (continued). . . . .	243
Cross-Examination by Mr. Predko . . . . .	245
Cross-Examination by Mr. Reichel. . . . .	257
Redirect Examination by Mr. Dykema . . . . .	264
Recross-Examination by Mr. Predko . . . . .	272

NOTE: Page numbers will change on final transcript.

NOTE: Full exhibit list will be included in final transcript

1 Lansing, Michigan

2 Tuesday, April 29, 2008 - 11:05 a.m.

3 JUDGE PATTERSON: I believe this morning we were  
4 going to address the motions in limine; is that correct?

5 MR. LEWIS: Yes.

6 MR. HAYNES: Correct.

7 MR. EGGAN: Yes.

8 JUDGE PATTERSON: And then adjourn until 1:00  
9 o'clock for the witnesses at --

10 MR. HAYNES: Correct.

11 MR. EGGAN: Right.

12 JUDGE PATTERSON: Okay. I've read all the  
13 motions. Does anybody want to argue beyond what's in the  
14 motions in support?

15 MR. LEWIS: I think, your Honor, we filed a short  
16 reply to the Petitioner's two motions in limine. I served  
17 them on counsel yesterday. If you've had a time to review  
18 those, unless other counsel wants to argue, I'm -- it's  
19 fine, if you're ready to rule.

20 MR. REICHEL: Object for the record. Respondent  
21 did not file a written response to the two motions in limine  
22 submitted by the Petitioners. What we would concur in the  
23 response -- made by Kennecott. Excuse me. I just wanted to  
24 note for the record, if you're having difficulty  
25 understanding me, I had some dental work done this morning.

1 I apologize.

2 MR. EGGAN: Your dentures look real nice,

3 MR. REICHEL: Thank you. I just need some more

4 Polygrip or something.

5 MR. EGGAN: Let me see.

6 MR. HAYNES: If you're ready to rule, I don't see  
7 the need for supplemental argument.

8 JUDGE PATTERSON: Okay. Mr. Eggan?

9 MR. EGGAN: Agreed; agree, your Honor.

10 JUDGE PATTERSON: All right. I'll start with the  
11 Petitioner's motion to exclude -- I've got these in the  
12 wrong order. Stick with me for a minute. Again, I'll start  
13 with Petitioner's motion in limine to exclude witnesses  
14 based on the fact that the, quote, unquote, "recitation" in  
15 the filed witness list is insufficient to apprise them of  
16 the substance in sufficient detail of the proffered experts'  
17 testimony.

18 It would appear on the face of the motion that  
19 Petitioner's recitations were more thorough, possibly more  
20 explanatory, at least those excerpts from Kennecott's  
21 witness list; however, in response to the motion, Kennecott  
22 has assured this Tribunal that it has already provided  
23 expert reports and that information accessory for the  
24 preparation as provided otherwise and did not do so in the  
25 witness list just in an effort not to be duplicative.

1                         Based on those facts and that assurance, it would  
2 appear there has been sufficient -- there's been, as I've  
3 repeatedly said in a number of orders, to put it in lack of  
4 a better term, a lot of water over the dam. I think at this  
5 point there's sufficient evidence and background of the  
6 experts to provide proper preparation, so I will deny that  
7 motion.

8                         Secondly, as to the motion in limine to prohibit  
9 evidence post-application, I have reviewed some of the  
10 cases, and those appear to be cases on appeal based on a  
11 record generated at the Administrative Tribunal or a Circuit  
12 Court below. As this Tribunal has repeatedly stated, what  
13 we engage in here is de novo review, and the issue is  
14 whether or not in this case KEMC or Kennecott is entitled to  
15 the permits and the mission being to develop a record  
16 towards a final Agency decision. To adopt the position that  
17 any post-application evidence would be prohibited would  
18 confer at this contested case hearing into an appeal, which  
19 it is not. It is a hearing to develop a record towards a  
20 final Agency decision and, therefore, that motion too will  
21 be denied.

22                         Third, KEMC has moved to prohibit introduction of  
23 reports of the experts of Petitioners based on two  
24 assertions: one, that they are hearsay and, second, that  
25 they are irrelevant and immaterial. At this point I don't

1 think it's possible to determine relevance or materiality  
2 without knowing what the specific issues and the parameters  
3 of the evidence are at the point of their being proffered.

4 So far as hearsay, I did note that I think it's -- Dr. Maest  
5 is going to testify, which would alleviate and I think  
6 render moot whether or not her report is hearsay if she's  
7 going to be here to testify live.

8 MR. EGGAN: She will be, your Honor.

9 JUDGE PATTERSON: All right. Secondly, as to a  
10 blanket ruling on whether or not they're hearsay, I don't  
11 think I can make at this point. Obviously, these types of  
12 reports are governed by Section -- I believe it's 75 of the  
13 Administrative Procedures Act, which loosens the hearsay  
14 exception in some respects if these reports were relied upon  
15 or utilized and -- by somebody in the application review  
16 period. So I will -- in respect of hearsay and relevancy  
17 and materiality, I just don't think I can make a blanket  
18 pronouncement on that. That's something that's going to  
19 have to be addressed as those certain reports, if they come  
20 in on that form, are proffered to this Tribunal. So we'll  
21 just do that on a piecemeal basis. Does that cover  
22 everything? I think --

23 MR. LEWIS: Yes, your Honor, I believe it does.

24 MR. EGGAN: I believe it does.

25 MR. HAYNES: Yes.

1                   JUDGE PATTERSON: Any questions or --

2                   MR. LEWIS: Not on that point, your Honor. We did  
3 have a couple other issues to take up.

4                   JUDGE PATTERSON: Okay.

5                   MR. HAYNES: We have some housekeeping matters.

6                   JUDGE PATTERSON: All right.

7                   MR. HAYNES: First, counsel have agreed that the  
8 resumes of the experts can be admitted without having to  
9 show the expert the resume, have the expert verify that the  
10 resume is the resume of the expert and then move the  
11 admission. So the resumes of all of the experts that have  
12 been exchanged will be admitted without prejudice obviously  
13 to any party being able to qualify the expert and  
14 cross-examine the expert.

15                  JUDGE PATTERSON: Okay.

16                  MR. HAYNES: I think we've got agreement from all  
17 counsel on that?

18                  MR. LEWIS: That's correct.

19                  MR. REICHEL: That's correct.

20                  MR. EGGAN: Yes.

21                  MR. HAYNES: Second, the mining permit application  
22 has been listed by all parties in various forms in various  
23 exhibits, and that's the application and its appendices and  
24 the environmental impact assessment and its appendices. And  
25 we've agreed and we'll stipulate that those documents are

1 admitted, and the exhibit numbers are scattered, but we'll  
2 sort that out at some point.

3 JUDGE PATTERSON: Okay.

4 MR. EGGAN: May I add that I believe all  
5 stipulation was the mining permit application under Part 632  
6 as well as the groundwater discharge permit application  
7 under Part 31 to round that out. I assume that that was the  
8 stipulation?

9 MR. HAYNES: Yes.

10 MR. LEWIS: That's right. I agree, and including  
11 the EIA documents that Mr. Haynes referred to. I think,  
12 with both the resumes and the mine permit application and  
13 groundwater discharge permit application materials, your  
14 Honor, what we may be able to do is, at some point before  
15 long, perhaps our assistants can put those lists together --  
16 the respective lists, and we can give those numbers of  
17 exhibits to the Court, and that'll be the list of stipulated  
18 admitted exhibits.

19 MR. HAYNES: Or frankly, we can just make them  
20 joint exhibits.

21 MR. LEWIS: I see some difficulty in that.  
22 They're kind of scattered all around the place, and we're  
23 going to be referring to our own respective exhibits, I  
24 suspect, so --

25 MR. HAYNES: That's fine.

1                   JUDGE PATTERSON: However you can work that out,

2                   I --

3                   MR. LEWIS: All right.

4                   MR. REICHEL: For the record, your Honor, the  
5                   Respondent concurs in those stipulations.

6                   JUDGE PATTERSON: Okay. Thank you, Mr. Reichel.

7                   MR. EGGAN: One thing that we did not discuss this  
8                   morning, Mr. Lewis and Mr. Reichel, is a discussion that we  
9                   had on a continuing basis over the last week or so with  
10                  respect to us providing the order of the witnesses; in other  
11                  words, Petitioners providing an order of witnesses to both  
12                  of -- to both Respondents and Intervener. We have provided  
13                  that, and it's my understanding that three days prior to  
14                  Kennecott's presentation of its proofs, it will provide a  
15                  list of the witnesses and order that it intends to call, and  
16                  then Mr. Reichel has indicated he will be providing a  
17                  similar list to us. Mr. Reichel, maybe you can speak to  
18                  that as to when it will be -- you'll be able to do that.

19                  MR. REICHEL: Yes. I can confirm that discussion.  
20                  We have agreed to that. With respect to the Respondent's  
21                  witnesses, as the Court -- as your Honor may already be  
22                  aware, we may need to take some of our witnesses out of  
23                  sequence with respect to our case in chief, if you will.  
24                  Certainly, we anticipate at least a week before the  
25                  presentation of our case, we will share with counsel the

1                   anticipated sequence of our witnesses.

2                   MR. EGGAN: Okay.

3                   MR. LEWIS: And just one minor point. I believe  
4                   we put the stipulation as to Kennecott on the witness order  
5                   on the record yesterday, if I'm not getting things wrong,  
6                   through Mr. Eggan, and it was then -- three or four days I  
7                   think is what the stipulation was yesterday, but we will  
8                   endeavor to do three if we can --

9                   MR. EGGAN: That's fine.

10                  MR. LEWIS: -- or four, I mean, if we can.

11                  MR. EGGAN: Okay. That would be great.

12                  JUDGE PATTERSON: Do the best you can.

13                  MR. EGGAN: You agreed to three.

14                  JUDGE PATTERSON: Obviously, there's dynamics that  
15                  may change that.

16                  MR. LEWIS: Yes; that's correct.

17                  JUDGE PATTERSON: As much information as you can  
18                  disseminate as quickly as possible would be helpful.

19                  MR. LEWIS: That's fine with me.

20                  MR. EGGAN: Very good.

21                  JUDGE PATTERSON: Okay. Anything else?

22                  MR. LEWIS: I don't believe so.

23                  MR. DYKEMA: Your Honor, before we adjourn, can  
24                  you give counsel a moment to confer?

25                  JUDGE PATTERSON: Yeah; sure.

(Off the record)

MR. DYKEMA: Your Honor, this is Peter Dykema, Huron Mountain Club. I have one clarifying question on one of your Honor's rulings this morning --

JUDGE PATTERSON: Okay.

MR. DYKEMA: -- with respect to the Petitioner's motion regarding witnesses whose recitations were brief. Am I correct, your Honor, that your ruling does not extend to experts who have not been -- with respect to whom we have not been given any kind of expert report? As I understand your Honor's ruling, the brevity of the recitation is, in effect, moot if we've already been given an expert report, and I understand that.

JUDGE PATTERSON: Right.

MR. DYKEMA: But in the case of an expert with respect to whom we have not gotten any kind of expert report, are we to assume that your ruling does not extend to that person?

MR. LEWIS: Could I speak to that, your Honor?

JUDGE PATTERSON: Yeah; sure.

MR. LEWIS: First of all, this very issue was discussed, I believe, in the context of the Petitioner's earlier motion for discovery, and we did point out a number of things in there. Number one, the primary difference between the disclosures by the Petitioners and the

1 disclosures by Kennecott was the election of how much  
2 information to restate in the witness list from prior  
3 reports. Now, we elected, rather than to restate a few  
4 pages of information from prior reports, to reference the  
5 reports that were already in the public record, which the  
6 Petitioners have available to them. Secondly, there was no  
7 obligation on the part of either the Petitioners,  
8 Interveners or Respondents to prepare new reports for any  
9 witnesses who had not already prepared and provided reports.  
10 The Petitioners, as with us, have some experts in that  
11 category who had not previously provided reports.

12 JUDGE PATTERSON: Yeah, I noticed that.

13 MR. LEWIS: Now, to get to Mr. Dykema's point, I  
14 think we would have to go through the process of finding  
15 those witnesses in our respective witness lists and  
16 comparing the amount of information that we both provided to  
17 one another. And on those witnesses I think you will find  
18 that we were equally as informative, as were the  
19 Petitioners. So I think this is a moot point, and I think  
20 your prior ruling, you know, covers the ground well enough.

21 MR. REICHEL: Judge, may I address that as well?

22 JUDGE PATTERSON: Sure.

23 MR. REICHEL: With respect to the Department of  
24 Environmental Quality witnesses, I would note first that  
25 the -- although the recitation of testimony in our witness

list was summary in nature focusing on the subject matter, we did, with respect to our experts, identify in the witness list reports -- either formal reports or documents contained in the DEQ files either offered by or relied upon by these witnesses, which have been disclosed to the Petitioners in advance of this hearing. So it's our contention that the availability of documents offered by the DEQ witnesses or contractors in the DEQ files has been sufficient to apprise -- reasonably apprise the Petitioners the anticipated substance of their testimony.

11 JUDGE PATTERSON: Mr. Dykema, any response?

12 MR. DYKEMA: In those cases where an expert that  
13 Kennecott or the DEQ intend to call has put a report of some  
14 kind in the record that apprises us of what they're likely  
15 to say, I understand the Court's -- your Honor's ruling, and  
16 that makes perfectly good sense. With respect to Mr.  
17 Reichel's argument that those experts who have not made any  
18 kind of expert disclosure or report, that we have to go  
19 through those one at a time, I'm comfortable with that. I  
20 just want to let the Court know that there are witnesses for  
21 whom we have neither an adequate disclosure nor an expert  
22 report, and so we're flying dark. But if the Court prefers  
23 that we take those up one at a time when a witness is  
24 proffered, that's fine with us.

25 JUDGE PATTERSON: I think that's the only way we

1 can do it. We're at this point essentially operating in a  
2 vacuum. And in the event that anyone feels prejudiced or  
3 disadvantaged by that, we can accommodate that and give you  
4 time to further prepare or whatever. All right?

5 MR. DYKEMA: Thank you, your Honor.

6 JUDGE PATTERSON: Anything further?

7 MR. HAYNES: No, your Honor.

8 MR. REICHEL: No.

9 JUDGE PATTERSON: Okay. 1:00 o'clock -- who's  
10 going to testify at 1:00 o'clock?

11 MR. DYKEMA: The Petitioners will call Dr. Kerry  
12 Woods of the Huron Mountain Wildlife Foundation.

13 JUDGE PATTERSON: Okay. And that's the only  
14 witness for this afternoon?

15 MR. DYKEMA: Yes, your Honor.

16 (Off the record)

17 MR. DYKEMA: Petitioner calls Dr. Kerry Woods.

18 REPORTER: Would you raise your right hand? Do  
19 you solemnly swear or affirm the testimony you're about to  
20 give will be the whole truth?

21 DR. WOODS: I do.

22 KERRY D. WOODS, PH.D.

23 having been called by the Petitioners and sworn:

24 DIRECT EXAMINATION

25 BY MR. DYKEMA:

1 Q Dr. Woods, would you please state your full name for the  
2 record?

3 A Kerry David Woods.

4 Q And where do you live?

5 A I live in Cambridge, New York.

6 Q Are you presently employed?

7 A At Bennington College in Bennington, Vermont.

8 Q And what is your position at Bennington College?

9 A I'm a professor of natural sciences.

10 Q And when did you become a professor there?

11 A 1986.

12 Q Can you please review for the Court your formal education?

13 A I did my undergraduate work at Illinois College, where I was  
14 a physics and biology double major. I took my Ph.D. at  
15 Cornell University in Ithaca, New York, in ecology and  
16 evolutionary biology and held post- --

17 Q And did you do any -- excuse me.

18 A -- and held postdoctoral appointments -- research and  
19 postdoctoral fellowship appointments at the University of  
20 Minnesota at Minneapolis and at the University of California  
21 at Santa Barbara.

22 Q And when did you first start teaching in biological  
23 sciences?

24 A Well, I started, I suppose, as a graduate student, so in the  
25 late 70's and full time in the early 80's at St. Olaf

1           College and --

2       Q     And did you teach at University of California?

3       A     Yes. I had -- my appointment there was part-time research,  
4           part-time teaching, so I taught there and at the University  
5           of Minnesota as well.

6       Q     Other than those institutions and at Bennington, have you  
7           been a teacher in the biological sciences elsewhere?

8       A     I've had visiting appointments elsewhere. I taught for one  
9           summer at the University of -- Central European University  
10          in -- based in Budapest, Hungary, and I've had visiting  
11          lectureships at other places; in New Zealand and at Harvard  
12          Forest in Massachusetts.

13      Q     And in what subjects have you had visiting teaching  
14          positions?

15      A     On, environmental science generally at the Central European  
16          University and forest ecology at the others.

17      Q     And how long have you been at Bennington?

18      A     22 years this fall.

19      Q     And apart from being a professor and instruct at Bennington,  
20          have you held other positions at the college?

21      A     I've had several elected positions in faculty governance  
22          committees; the personnel review committee and the academic  
23          policies committee, as well as a number of other appointed  
24          committee services, but those are the primary ones.

25      Q     What is the charge of the academic policies committee at

1 Bennington?

2 A Basically it oversees the full -- all of the aspects of the  
3 academic function of the college. We oversee curriculum  
4 development, allocation of faculty positions.

5 MR. DYKEMA: Can we have slide number 5, please?  
6 Your Honor, I've prepared binders with the exhibits and the  
7 copy of the demonstratives that Dr. Woods will testify to,  
8 if I may approach?

9 JUDGE PATTERSON: Is this part of what I already  
10 have?

11 MR. DYKEMA: It is not.

12 JUDGE PATTERSON: Okay.

13 MR. DYKEMA: This was prepared just for today's  
14 testimony.

15 JUDGE PATTERSON: Yeah, come on up.

16 MR. PREDKO: Your Honor, I guess we would object  
17 to the extent that the exhibits were due quite a long time  
18 ago, and we were never provided these up until right just  
19 now.

20 MR. DYKEMA: Your Honor, it might be best to take  
21 this one at a time, but I can assure the Court that the  
22 materials that will be presented both on the screen and in  
23 the binder have been in the Respondents possession for a  
24 long time. Some are comments that were submitted by the  
25 Huron Mountain Club to the DEQ two years. Some are exhibits

1           that are in our exhibit list or that have already been  
2           entered.

3                             JUDGE PATTERSON: Okay.

4                             MR. DYKEMA: So there is nothing new here. The  
5                             material, such as we're looking at on the screen, are just  
6                             materials that have been taken out of Dr. Woods' CV, which  
7                             was included in our witness list that was served many, many  
8                             weeks ago.

9                             JUDGE PATTERSON: They just weren't provided this  
10                            specific form here?

11                            MR. DYKEMA: That's right, your Honor. We've just  
12                            pulled out some material to highlight it and to help Dr.  
13                            Woods testify to it.

14                             JUDGE PATTERSON: Okay. Go ahead.

15        Q           Dr. Woods, I'd like you to summarize for the Court the  
16                             professional activities that you have engaged in over the  
17                             years in addition to the formal teaching positions and  
18                             administrative positions that you have held and -- or if it  
19                             is of help --

20        A           I've been involved for many years in the Primary  
21                             Professional Society of Free College Ecological Science in  
22                             North America, and that's the Ecological Society of America.  
23                             And I've served on several of their governance committees,  
24                             including the professional ethics committee, which I chaired  
25                             for several years; the governing council two years ago -- or

1                   last year. I was the chair of the national meetings of the  
2                   ecological society, which was held in San Jose, and those  
3                   are the largest professional meetings in ecological science  
4                   globally.

5                   I'm the -- also currently the chair of the North  
6                   American Section of the International Association for  
7                   Vegetation Science, and I've for the last seven or eight  
8                   years served as an editor for the journal of both of those  
9                   societies, for the Ecological Society of America and for the  
10                  International Association for Vegetation Science. I've been  
11                  on advisory committees for various other organizations and  
12                  field stations and for the last several years have been the  
13                  director of research for the Huron Mountain Wildlife  
14                  Federation.

15           Q       Dr. Woods, can you turn with me, please, to the first tabbed  
16                  item in the binder that I've handed you?

17           A       Uh-huh (affirmative).

18           Q       Is this your CV?

19           A       Yes.

20           Q       The material in slide 5 which is on the screen now, is that  
21                  taken out of your CV?

22           A       Yes.

23                   MR. DYKEMA: Your Honor, in the binders that I've  
24                  handed around, slide number 5 has been identified as Exhibit  
25                  Part -- Exhibit 138 in the Part 632 appeal -- contested case

1 proceeding. I ask that it be admitted.

2 JUDGE PATTERSON: Is it 138? Mine's 133.

3 MR. DYKEMA: I'm sorry, your Honor. I'm referring  
4 to the demonstrative that's up on the screen.

5 JUDGE PATTERSON: Oh; oh, I'm sorry. All right.

6 Any objection?

7 MR. PREDKO: Yes, your Honor. Your Honor, the  
8 exhibits that we were provided pursuant to this Court's rule  
9 only went up to Exhibit 117, and so I'm not sure where this  
10 exhibit is coming from. I've never seen this. I've  
11 reviewed all the exhibits that Petitioners have provided.

12 MR. DYKEMA: Your Honor, Dr. Woods has just  
13 testified that this information comes directly out of his  
14 CV, and I believe the parties have a stipulation that the CV  
15 is admissible.

16 MR. PREDKO: The CV itself, your Honor, is fine.  
17 I've taken a look quickly through this book, and there are  
18 numerous reports in here that we were not provided; numerous  
19 exhibits that we were not provided. Pursuant this Court's  
20 ruling, exhibits were to be provided over a month ago.

21 JUDGE PATTERSON: Well, I think we'll have to take  
22 those one at a time.

23 MR. PREDKO: Okay.

24 JUDGE PATTERSON: Obviously the CV itself is  
25 subject to the stipulation, I assume. Is that what you're

1 offering or that --

2 MR. DYKEMA: I thought, your Honor, for the  
3 Court's convenience, it might be helpful to have in evidence  
4 some material that highlights entries in the CV such as our  
5 Exhibit 138, which is on the screen now, which is taken from  
6 the CV.

7 JUDGE PATTERSON: So it's just an excerpt from the  
8 CV?

9 MR. DYKEMA: That's right.

10 JUDGE PATTERSON: All right. I'll admit that.

11 (Petitioner's Exhibit 632-138 received)

12 Q Dr. Woods, in your positions as an editor of the ecology  
13 publications that are identified in Exhibit 138 and in your  
14 CV, what is the range of scientific research that you are  
15 called upon to review, analyze and assess?

16 A For the editorships that are mentioned there, the  
17 manuscripts that come to me for judgment and for allocation  
18 to peer reviewers cover a wide range of terrestrial ecology.  
19 The program chairmanship for the ESA covered the full range  
20 of ecological science. I was responsible for assessing,  
21 accepting or rejecting and then arranging into a program  
22 about 5,000 submissions from everywhere from marine biology  
23 to forest ecology, your own specialty.

24 Q I'd like now to discuss with you your -- the publications  
25 that you, yourself have authored in the area of ecology.

Approximately how many peer-reviewed publications have you authored?

On the order of 20.

And approximately how many of those are in the field of forest ecology?

Essentially all of them, although some are remote sensing and paleoecological studies so not looking at current on-the-ground forest ecology but all addressing forest ecology in one way or another.

And how many of those papers, Dr. Woods, have dealt with the forest ecology of old growth forests in the upper Great Lakes region?

All but two or three.

And have you authored papers specifically studying the old growth forests of Huron Mountain Club?

Yes; about five or six -- five at this point, I believe.

MR. DYKEMA: Can we have slide number 1?

Dr. Woods, we're looking at the slide that we have marked in the binders as Exhibit 134. Are the papers listed here taken out of your CV?

Yes

And can you summarize for the Court the subject matter and nature of the studies that have been identified here?

These are all concerned with the dynamics over time of old growth forests and particularly looking at the dynamics and

1 properties of the tree populations and the canopy dynamics,  
2 including responses to natural disturbances and regeneration  
3 processes.

4 Q The title of this slide refers to hemlock hardwood forests.  
5 What are the significance of hemlock hardwood forests in the  
6 Huron Mountains?

7 A Well, that's a fairly large category of forest types that  
8 would -- within which most of the old growth forests of the  
9 northeastern U.S. from the Great Lakes to New England would  
10 be included. And so the majority of the old growth forests  
11 of the Huron Mountains would fall into this type.

12 MR. DYKEMA: You Honor, I move the admission of  
13 Exhibit 134.

14 MR. PREDKO: And again, what is Exhibit 134? Are  
15 you just talking about the excerpts that are up on the  
16 screen?

17 MR. DYKEMA: That's right; that's right.

18 MR. PREDKO: No objection, other than, again, your  
19 Honor, that the exhibits that were provided to us only go  
20 through 117, and so I'm not sure where these additional  
21 exhibits are coming from. This one's certainly brand new.

22 I don't have an objection to this one but --

23 MR. REICHEL: No objection, your Honor.

24 JUDGE PATTERSON: Again, it's just an excerpt of  
25 the CV; correct?

1 MR. DYKEMA: That's correct.

2 JUDGE PATTERSON: It'll be admitted.

3 (Petitioner's Exhibit 632-134 received)

4 Q Dr. Woods, have you authored papers other than what we're  
5 seeing in Exhibit 134 that have a direct bearing on the  
6 scientific value of the Huron Mountain Club property?

7 A Actually, a couple of things; one more recent paper that's  
8 just in print as of a couple of months ago that is looking  
9 at further parts of the aspects of forest dynamics, looking  
10 at tree seedling dynamics, only recently published, so it  
11 wasn't in the CV I submitted to you. Also, there's the --  
12 as of 2007, we have compiled what we call an All Taxa on  
13 biological -- biodiversity inventory for the Huron Mountain  
14 Club and that's published under my authorship as a compiler.  
15 It is a summary -- a digest, a summary of All Taxa of all  
16 groups, ranging from microorganisms to wolves that have been  
17 documents at the Huron Mountain -- within the boundaries of  
18 the Huron Mountain Club.

19 Q Can you turn with me, please, Doctor, to the second-to-last  
20 tab in the binder that I've distributed, which is Exhibit 24  
21 on the Part 632 case?

22 A Yeah.

23 Q Is this the All Taxa Biodiversity Inventory that you just  
24 referred to?

25 A Yes.

1 Q Can you explain to the Court how you went about compiling  
2 this inventory of the organisms on the Huron Mountain Club  
3 property?

4 A The work that has been done by researchers on the lands of  
5 the Huron Mountain Club consist of some, oh, roughly 200  
6 published papers, unpublished reports to the Huron Mountain  
7 Wildlife Foundation, and I read all of them and simply  
8 compiled all of the records that were in them. Some of them  
9 are focused surveys of particular groups. Others are more  
10 diffuse studies but where some species were documented  
11 uniquely, and all of those went into the compilation, and  
12 they're all referenced within in.

13 Q How far back do the papers reporting scientific studies on  
14 the Huron Mountain Club property go?

15 A The earliest ones go back as far as the 20's and 30's, but  
16 those are quite sporadic. The main body of work goes back  
17 to the late 40's and 1950's.

18 Q Returning -- continuing with an account of your  
19 publications, have you also published abstracts summarizing  
20 speeches and addresses that you've made?

21 A Sure. The published abstracts are associated with official  
22 professional meetings, and those are. in fact, published in  
23 the public arena. Speeches that have been made at  
24 invitation to other institutions don't have published  
25 abstracts, but there's a list of examples of tide holes and

1           institutions that have been where I've offered reports on  
2           this research. In my CV there's something over 50 at this  
3           point.

4       Q     And have you received grants to fund your researches in  
5           ecological science?

6       A     Yes. Those that have supported the research in northern  
7           Michigan and at the Huron Mountains have included grants  
8           from -- major grants from the National Science Foundation  
9           and the U.S. Forest Service and most recently the Andrew  
10          Mellon Foundation. I've also received some support from the  
11          Huron Mountain Wildlife Foundation but not in the last  
12          decade.

13      Q     And on approximately how many occasions have you been  
14          invited to speak on subjects related to forest ecology?

15      A     Somewhere between, I would -- somewhere between 50 and 100;  
16          say 75.

17      Q     In how many countries?

18      A     Let's see. 5 or 6.

19      Q     And in how many states in the United States?

20      A     Last time I counted, I think it was 15.

21      Q     Doctor, have you received honors in recognition of the  
22          scientific contribution you have made to the field of forest  
23          ecology?

24      A     The -- on my resume is -- I've listed a fellowship that I  
25          held about ten years ago at Harvard University Harvard

1 Forest. It's called a Bullard Fellowship. That's a --  
2 that's given in recognition of ongoing research in plant  
3 science. As of this fall, I will be a fellow of the  
4 National Center for Ecological Analysis and Synthesis in  
5 Santa Barbara, which is a similar -- the awarded fellowship.

6 Q Doctor, how much of your scientific research has been  
7 focused on issues relating to the forests of the northern  
8 Great Lakes region?

9 A The large majority of it. Some of my research has addressed  
10 vegetation of the northeast as well, but the large bulk of  
11 my work has been focused in the upper Great Lakes.

12 MR. DYKEMA: Your Honor, I ask that the Tribunal  
13 accept Dr. Woods as an expert and allow him to offer  
14 opinions in the fields of forest ecology, community ecology  
15 and in particular the forests of the northern Great Lakes  
16 region.

17 MR. REICHEL: Excuse me, your Honor. May I ask  
18 counsel to repeat the second category?

19 JUDGE PATTERSON: I was just going to ask that.

20 MR. DYKEMA: The community ecology.

21 MR. REICHEL: Community ecology.

22 JUDGE PATTERSON: That's what I have. Any voir  
23 dire on anybody's part?

24 MR. REICHEL: Just briefly.

25

## 1 VOIR DIRE EXAMINATION

2 BY MR.REICHEL:

3 Q Dr. Woods, what is community ecology?

4 A It's the midrange of ecological systems that we study.

5 There are population ecologists who look at particular  
6 species and their -- the dynamics of their populations.7 There are ecosystem ecologists who look at the geochemistry  
8 of nutrient cycling. Community ecologists look at the  
9 interactions among populations and the -- so forest is a  
10 community, and community ecologists look at those systems as  
11 integrated entities. And that's, in fact, what my degree is  
12 in.13 MR. REICHEL: I have nothing further. I have no  
14 objection to the witness' qualification in those fields.

15 MR. PREDKO: No objection, your Honor.

16 JUDGE PATTERSON: Okay.

## 17 DIRECT EXAMINATION

18 BY MR. DYKEMA: (continued)

19 Q Dr. Woods, do you hold a position with the Huron Mountain  
20 Wildlife Foundation?21 A I was appointed to be the director of research at the Huron  
22 Mountain Wildlife Foundation as of three and a half years  
23 ago.24 Q And have you been affiliated in any way with the foundation  
25 prior to your appointment as the director?

1 A The foundation had approved and in the past supported some  
2 of my research. I don't think of that as an affiliation  
3 with the organization itself, but that was --

4 Q What is the foundation?

5 A -- the previous involvement.

6 Q Excuse me.

7 A The foundation is a not-for-profit organization whose  
8 mission is stated simply to support research into the  
9 natural sciences of the upper Great Lakes Region, and the  
10 foundation maintains a field station on Ives Lake, which is  
11 the sort of low-ground lake in the upper part of that map  
12 there. And upon a certain amount of research directly each  
13 year but also overseas research projects, other than the  
14 ones the foundation funds directly that are taking place in  
15 this region, and the lands of the Huron Mountain Club itself  
16 are the primary research locus but not exclusive.

17 Q Where does the foundation get most of its money?

18 A To date nearly all of it, if not all of it, has been through  
19 direct contribution of foundation members. We are at the  
20 moment, I think, nearly 100 percent of the way to getting  
21 some funding from the National Science Foundation to expand  
22 facilities not -- it won't go directly to research support.  
23 It will allow us to expand our field station facilities.  
24 But to date -- and especially the funds that go to support  
25 the researchers themselves -- has all been contributions.

1 Q You've mentioned contributions by members of the foundation.

2 I think you may have mis-spoke. Did you mean to say

3 "contributions by members of the Huron Mountain Club"?

4 A I -- yes, because not all of them are members of the

5 foundation. You're right.

6 Q And the Huron Mountain Club and the Wildlife Foundation are

7 distinctly co-entities?

8 A They are.

9 Q When for the foundation created?

10 A 50th anniversary was in 2005, I believe, so 1955.

11 Q And since then approximately how many peer-reviewed

12 scientific papers have resulted from research sponsored in

13 hole or in part by the foundation?

14 A I believe the total of peer-reviewed papers -- oh, I'm

15 losing the number from my head. It's several dozen, but

16 I'm --

17 Q Please turn with me to tab C in the binder that's in front

18 of you.

19 A Yes.

20 MR. DYKEMA: And your Honor, for the --

21 A Yes.

22 MR. DYKEMA: Let me ask you to --

23 A I believe -- it's 70 something, I believe, at last count.

24 Q Thank you. If I can ask you to pause for a moment, Dr.

25 Woods --

1 A Uh-huh (affirmative).

MR. DYKEMA: Your Honor, the exhibit that has been marked as Exhibit 6-d -- small d -- which has all the lettered tabs behind it, through letter tabs A through N, this was comments submitted by the Huron Mountain Club to the Department of Environmental Quality in May of 2006, so almost exactly two years ago. It is my understanding, your Honor, that the comments and materials submitted to the Department of Environmental Quality during the mine application review process are all a part of the record before this Tribunal all right. But I would ask the Court's guidance on that so, if I need to introduce this material, I'll do so. My understanding is it's already in the record.

MR. PREDKO: Counsel, which exhibit were you referring to of your --

MR. DYKEMA: It is -- the second tab is -- you'll see it's got 6d handwritten, and that 6d -- what we've identified as 6d are the comments that the Huron Mountain Club submitted to the DEQ in May of 2006 and all of the attachments to those comments that were submitted to the DEQ in May of 2006.

MR. PREDKO: Your Honor, we do object to the admission of these comments. And in fact, I thought that this was a subject of a motion in limine. The comments, a lot of them written by lawyers are hearsay and should not be

1 admitted as substantive evidence in this proceeding. They  
2 can have experts come in and testify as to why the  
3 application was incomplete. But comments written by lawyers  
4 and other folks during the process are hearsay and should  
5 not be admitted.

6 JUDGE PATTERSON: Well, first of all, Counsel, to  
7 address your inquiry, I -- these, at least to my knowledge,  
8 are not part of the record in this proceeding. They may  
9 have been furnished to DEQ in the application review  
10 process, but I don't think they've been offered or certainly  
11 admitted in this particular proceeding that I'm aware of  
12 unless there's a --

13 MR. DYKEMA: Well, we have identified as Exhibit 6  
14 in our list of exhibits the materials that were submitted to  
15 the DEQ during the permit review process. Now, that's a  
16 blanket identification.

17 JUDGE PATTERSON: Right.

18 MR. DYKEMA: And we identified that on the  
19 understanding that the materials on the basis of which the  
20 DEQ reached its initial permitting decision would be a part  
21 of the record here. But, your Honor, if we need introduce  
22 everything again in order to make it a part of the record  
23 before this Tribunal, I -- we need that guidance.

24 JUDGE PATTERSON: I think you have to do that.  
25 The fact it was furnished to the DEQ in the application

1           review process doesn't make it part of this record, but it's  
2           specifically being offered and admitted.

3       Q     Please turn with me, Dr. Woods, to tab capital letter C.  Do  
4           you have that in front of you?

5       A     Yes.

6       Q     What is it?

7       A     It's a list of scientific papers that have been published  
8           and -- either in peer-reviewed literature or in -- I believe  
9           some of them are internal reports to the foundation.  Some  
10          of them are thesis -- theses for master's and Ph.D. degrees  
11          out of various institutions.  But it's a full listing as of  
12          a year or two ago, I think, of the reports published from  
13          research conducted under the Huron Mountain Wildlife  
14          Foundation's oversight.

15      Q     Is there a way for you to characterize for the Court the  
16          range scope of the research reflected in what we are calling  
17          Exhibit 6dC?

18      A     Yes.  It's categorized here, but it ranges from geological  
19          research through aquatic biology and ecology to surveys of  
20          terrestrial animal and plant populations to ecosystem  
21          dynamics, including hydrological or -- in other words, it's  
22          a very wide-ranging body of work.

23      Q     And can you turn with me, please, to the next tab, tab D, --

24      A     Yes.

25      Q     -- which I will identify as the Part 632 Petitioner's

1                   Exhibit 6dD? What is this?

2       A     This is a listing of current or ongoing scientific studies  
3                   at the Huron Mountains under the oversight of the Huron  
4                   Mountain Wildlife Foundation. It's, I believe, one or two  
5                   years old. The -- so -- but much of this -- much of -- many  
6                   of these projects are still ongoing, and there are some  
7                   others that have been established since it was

8       Q     I can represent to you, Doctor, that this was prepared in  
9                   connection with our comments to the DEQ almost exactly two  
10                  years ago.

11      A     Okay.

12      Q     Can you give the Court a sense of the new work that has been  
13                  undertaken under the auspices of the foundation in the last  
14                  two years or at least some examples?

15      A     Yes. We have -- I'll try to sort of cover the -- cover it  
16                  topically and with some examples. We continue, as always,  
17                  to have a variety of studies of forest ecology. We have a  
18                  new study beginning this year that's focused on the ecology  
19                  of white pine and its establishment in old growth forests,  
20                  which is happening at the Hurons because it's one of three  
21                  places where there are old-growth white pine forests. We  
22                  have several new studies of aquatic ecosystems, including --  
23                  I don't believe it's in here yet -- including a study of an  
24                  unusual population of lake trout as to its genetic and  
25                  evolutionary relationship to lake trout -- other lake trout.

1                   We have several studies -- linked studies of the  
2 hydrology and ecosystem function of some of the streams at  
3 the Hurons as they are connected to behavior and population  
4 dynamics of the -- of fish populations and invertebrate  
5 populations that have been ongoing over the last two or  
6 three years and continuing. We have a study of the small  
7 mammal populations, which is a follow-up on a study that was  
8 done about 50 years ago -- 45 years ago, using that as a  
9 baseline for comparison to the present. Those researchers  
10 are basically replicating the sampling that was done in the  
11 50's and using those data to try to assess stability and  
12 change in the kinds of small mammal communities in an  
13 old-growth ecosystem. So we have about 23, I believe,  
14 projects approved for 2008. We had about the same number  
15 last year. So that's just some examples of the range of  
16 things that are ongoing.

17       Q       Thank you.

18                   MR. DYKEMA: Your Honor, I'd move the admission of  
19 Petitioner's Part 632 Exhibits 6dC and 6dD.

20                   MR. PREDKO: Your Honor, we have no objection to  
21 the extent that these are being admitted for the limited  
22 purpose of showing the kinds of scientific studies that go  
23 on at the Huron Mountain Club. The objection we would have  
24 is that the substance of these studies clearly is not going  
25 to be in any way admitted into evidence by way of admitting

these documents.

MR. DYKEMA: I'm only offering the lists, your Honor.

JUDGE PATTERSON: I assumed that.

MR. DYKEMA: I'm not trying to slip in the papers  
but --

JUDGE PATTERSON: Mr. Reichel?

MR. REICHEL: No objection to the admission of the list of papers.

JUDGE PATTERSON: And that's all it is, is just a  
list of --

MR. DYKEMA: That's right.

JUDGE PATTERSON: -- what's been performed?  
You're not vouching for their substance or veracity at this point?

MR. DYKEMA: Well, the title would give some idea of the subject matter.

JUDGE PATTERSON: Right.

MR. DYKEMA: And Dr. Woods has indicated the subject matter. But, no, I am not -- I'm not suggesting that, by getting in these lists, we have admitted the conclusions that each of these researchers found -- came to.

JUDGE PATTERSON: All right. They will be admitted with that limitation.

(Petitioner's Exhibits 632-6dC - 632-6dD received)

1                   MR. REICHEL: Excuse me. This is not by way of  
2 objection but just clarification, Counsel.

3                   MR. DYKEMA: Of course.

4                   MR. REICHEL: Just to avoid any confusion of the  
5 record, how are these going to be identified? As you know,  
6 the Respondents, at least so far as we understand, have  
7 offered us a list of exhibits -- sequentially numbered  
8 exhibits in 632 issues.

9                   MR. DYKEMA: Correct.

10                  MR. REICHEL: And some of the ones you've  
11 proffered here today continue that series, and I was just  
12 inquiring as to whether you intended these documents -- how  
13 you intended to denominate these documents.

14                  MR. DYKEMA: Well, I think I have that in record,  
15 but I appreciate the chance to clarify that. Our exhibit  
16 list included in Exhibit 6, which was broadly identified as  
17 everything that had been submitted during the permitting  
18 process. Now, we have a ruling on that, but we have  
19 identified the comments and attachments here as Exhibit 6d.

20                  MR. REICHEL: Okay.

21                  MR. DYKEMA: So I'm continuing to use that  
22 nomenclature to identify these attachments so that your  
23 binder -- the numbers in your binder will correspond to  
24 what's in the transcript.

25                  MR. REICHEL: Thank you for that clarification.

MR. PREDKO: Your Honor, and I would just note that, when they submitted their exhibit list, they did submit this broad category for Exhibit 6, and I think the Court made a ruling that you had to specify what you were talking about, and they did that in a supplemental exhibit list, which I have, which I didn't have a second ago. And this list lists 6a, 6b and 6c, no 6d. And so I want to make it clear again, you know, while Mr. Dykema is referencing a few materials which have been provided, this entire exhibit is brand new today, never disclosed even pursuant to this Court's order.

MR. DYKEMA: May I have just a moment, your Honor?

JUDGE PATTERSON: Sure.

(Off the record)

MR. DYKEMA: Your Honor, I would just note again that until today there has been no ruling as to whether the designation of our Exhibit 6 was adequate. We were proceeding on the assumption that the materials below on which the DEQ necessarily based its decision would be a part of this record. But the adequacy of the designation that counsel refers to has not been ruled upon. And again, these materials are not new. These materials were provided to the DEQ two years ago. Now, we've -- we described them generically on the assumption that they all would be in the record since they've been in the DEQ's files for two years

1 and presumably they would view them when they issued their  
2 decision on the permits. But this is not new material.

3 MR. PREDKO: I think, your Honor, if we just  
4 continue to approach it exhibit by exhibit, we'll -- that's  
5 the way --

6 JUDGE PATTERSON: I think that's the only thing we  
7 can do.

8 Q Dr. Woods, will you turn with me, please, to the final tab  
9 in your binder, which is Petitioner's Part 632 Exhibit  
10 Number 31?

11 MR. DYKEMA: And I apologize to the parties and to  
12 the Court. I realized while walking into court this  
13 afternoon that a two-sided document was copied one-sided. I  
14 will supply everybody with a full copy of the document  
15 properly photocopied promptly after we adjourn today.

16 Q But, Dr. Woods, can you explain to the Court what Exhibit 31  
17 is?

18 A This is a report that was written and submitted by Aldo  
19 Leopold in 1938 to the Huron Mountain Club upon their, as I  
20 understand it, invitation request to him to come to the  
21 Huron Mountains and develop for them recommendations and  
22 plans for conservation-appropriate land-use management of  
23 their lands subsequently. Aldo Leopold was the founder of  
24 the field of wildlife management at that time. He was a  
25 professor at the University of Wisconsin.

1 Q Will you look with me, please, at the fourth full paragraph  
2 on page 1 of Exhibit 31, the paragraph beginning, "The  
3 scientific values"?

4 A Yes.

5 Q Do you see in the \* ?? sentence there 1:44:38 where Dr. --  
6 Professor Leopold wrote, "All earth sciences must in the  
7 long run learn how to use land by referring to unused land  
8 as a base datum or starting point"? Do you see that?

9 A Yes.

10 Q Can you explain to the Court the people to which Aldo  
11 Leopold is referring there?

12 A This is an anticipation of what we would now refer to as the  
13 reference ecosystem concept. More generally, science moves  
14 by critical comparison. If you're doing a lab experimental  
15 study, you do an experimental treatment. In order to assess  
16 the effects of your experimental treatment, you run a  
17 parallel control with field sciences and other sciences like  
18 astronomy. Where experimentation is not active -- you know,  
19 managed controlled experimentation is not possible because  
20 of either the, you know, size and complexity of the system  
21 or the time frames involved, the kinds of critical  
22 comparisons that have to be made to understand the  
23 consequences and effects of particular factors have to be  
24 comparisons among existing systems. So he says, "All earth  
25 sciences must learn how to use land" by referring to unused

1 land as a base datum or a starting point. I read that as  
2 essentially asserting the same thing, and he would have been  
3 one of the first people to do so, I think; that, in order to  
4 really understand the effects of land management or any  
5 other process or effect on the landscape, you've got to  
6 use -- you've got to assess it comparatively by carefully  
7 chosen -- by comparing it to carefully chosen systems and  
8 his base datum or starting point, our modern reference  
9 ecosystem.

10 Q Is the property of the Huron Mountain Club of value to  
11 science as a reference ecosystem?

12 A Yes. He was recognizing that in the remainder of this  
13 report quite -- made that as -- made a strong claim in his  
14 report, and I think that stands today, if anything, more  
15 powerfully as other potential reference ecosystems in the  
16 region have been lost to other kinds of management.

17 Q For what reasons is the property of the Huron Mountain Club  
18 of value today and in the future -- of value to science as a  
19 reference ecosystem?

20 A There are three or four properties that make for a good  
21 reference ecosystem. One is simply size. A lot of the  
22 processes and properties we're interested in can only be  
23 effectively looked at if there's a sufficient area for them  
24 to play out the way -- as a full system. And the Huron  
25 Mountain Club reserved areas, which amount to about 10,000

1           acres, which are buffered by another similar amount of very  
2       likely -- historically likely managed areas, probably one of  
3       the three or four largest pieces of pristine landscape in  
4       the upper Great Lakes region, and that would be one of the  
5       second criteria that makes for a very valuable reference  
6       ecosystem.

7           There are lots of things you might want to use a  
8       reference ecosystem as a control for, but the most general  
9       kind of control we can look for is an ecosystem that --  
10      landscape that has had minimal active management. And  
11      people talk about old growth or pristine or virgin  
12      landscapes. We think of it basically as a landscape that  
13      has had -- which has been subjected to few of the kinds of  
14      influences whose effect we would like to assess. So that's  
15      a second factor.

16           One that's kind of distinctive to the Hurons is  
17      the security. As a researcher you want to choose a  
18      reference ecosystem that's secure in two respects. One is  
19      that the management -- you can count on the management  
20      continuing to maintain its reference atlas. But there's a  
21      more straightforward sense of security, which is, when you  
22      set your equipment up -- your sensors and your monitoring  
23      equipment up in the field, you don't want it vandalized, and  
24      a lot of the other kinds of -- other locations that have the  
25      biological properties that make a good reference ecosystem

1 don't have that kind of security.

2 Another factor is simply the diversity of the  
3 landscape there. The two other tracts in the Upper  
4 Peninsula that are larger in extent -- that would be the  
5 Sylvania Tract on the Wisconsin border and the Porcupine  
6 Mountain State Park over on the western end of the Upper  
7 Peninsula -- both -- are both subject to a great deal more  
8 human traffic -- unregulated human traffic. And the  
9 Sylvania tract is considerably less ecologically diverse.  
10 It's a much more uniform piece of landscape. So those are  
11 some of the primary attributes that make the Huron Mountains  
12 a particularly attractive reference ecosystem in the sense  
13 that Aldo Leopold's talking about.

14 Q Does the presence of over a half century of scientific  
15 research on the property contribute to its value as a  
16 reference ecosystem?

17 A Oh, hugely. One of the challenges that we have in assessing  
18 ecosystem dynamics in the face of, say, large-scale  
19 environmental change is having a baseline against which to  
20 compare what you're observing. Or in assessing the effect  
21 of the history of land management is what's happening now, a  
22 consequence of that history of land management or simply a  
23 consequence of some kind of environmental change. Without  
24 having a Dataset that extends over time, it's very, very  
25 hard to get a handle on those things.

1                   It's challenging to start a long-term study now,  
2                   and so if there's an existing Dataset that is years or  
3                   decades deep, it gives you a huge head start and a deeper  
4                   baseline than you could otherwise have. My own research at  
5                   the Hurons depends completely on the fact that some  
6                   researchers from the Forestry School at Michigan Tech  
7                   established some permanent study plots there in the early  
8                   60's that I've been able to adopt.

9     Q     I'd like to -- each of these factors that you've identified  
10               as contributing to the scientific value of the HMC property  
11               as a reference ecosystem, I'd like to drill down on that a  
12               little bit.

13    A     Okay.

14    Q     One factor you identified was the relative absence of human  
15               disturbance, which I'll refer to as pristineness.

16    A     Okay.

17    Q     Are you familiar with the Huron Mountain Club preserved  
18               area?

19    A     Yes.

20    Q     How big is it?

21    A     It's roughly 10,000 acres. I can't give you more precisely  
22               than that.

23    Q     And what is its biological condition?

24    A     That's an area that has never been subject to any commercial  
25               logging or exploitation of that kind. It has a sparse

1 network of trails and sort of two-track roads and some boats  
2 that are kept on some of the lakes within it. But the  
3 bylaws of the club stipulate that no further development and  
4 maintenance of those paths and tracks will happen on that  
5 preserved -- on those preserved land. And that includes a  
6 number of lakes and streams as well as the terrestrial  
7 ecosystems, and many of those have been less affected by  
8 stocking and live-bait use and so forth than waters outside  
9 of it. So in terms of what you're calling pristineness, it  
10 would rank very, very high.

11 Q What's the quality of the water?

12 A The quality of the water chemically is -- well, the levels  
13 of many metals and pesticides and other things that people  
14 monitor for water quality purposes are actually in many  
15 cases below the levels of detection for the standard  
16 equipment.

17 Q Is that common in Michigan?

18 A No. It's not common anywhere.

19 Q I'd like to look at one little piece of the preserved area.  
20 Would you turn with me, please, to the document that resides  
21 behind tab M as in "Mary"?

22 A Got it.

23 Q Do you recognize what I will identify as Exhibit 6dM?

24 A Uh-huh; yes.

25 Q What is it?

1       A     This is a survey that was done in the early 90's by the  
2           Michigan Natural Features Inventory, part of the Natural  
3           Heritage Program of a particular kind of ecosystem type  
4           that's pretty distinctive to the -- pretty unique to the  
5           upper Great Lakes Region. It's called a dune -- they're  
6           called dune-and-swale complexes, and they're lakeshore  
7           features that are composed of partially flooded series of  
8           sand dunes that have developed over the long history of the  
9           Great Lakes of changing water levels and development of sand  
10          dunes. And so they are a series of dunes with intervening  
11          wetlands, the swales. And they're considered to have very  
12          high conservation priority by a lot of conservation  
13          organizations, including the state agencies involved in the  
14          Nature Conservancy and so forth.

15       Q     Who is the Michigan Natural Features Inventory -- who or  
16          what?

17       A     The Natural Feature Inventories -- there are Natural Feature  
18          Inventories in -- programs in most states. They originate  
19          from actually the work of the Nature Conservancy some years  
20          ago trying to establish a systematic inventory of natural  
21          features, which includes everything from rare species to  
22          ecosystems and habitats to, in fact, geological features as  
23          well. And over the years those have been folded into state  
24          environmental management agencies in the different states,  
25          so every state has its own slightly different name for them.

But that's the Natural Features Inventory here that's under tab, "The State Natural Heritage Program."

What was the purpose of the survey that's reflected in Exhibit 6dM?

Simply to document where such -- where this particular type of habitat can still be found and to assess the quality, the pristineness, if you will, and conservation value of particular instances of its occurrence.

Can you turn with me, please, to page 38 of Exhibit 6dM?

Yes.

MR. DYKEMA: And can we have on the screen, please, slide number 6? Can we make it full screen?

We're now looking on the screen, Dr. Woods, to an exhibit that was introduced yesterday. It's an aerial photograph of the Salmon Trout mouth area. And we're referring again to page 38 of the dune-swale survey. How did the authors of this report rank the Salmon Trout Bay area?

Well, they have a table on that page which ranks -- well, there's several tables that rank listings by different areas, but the table 3-Can tanks listings of Michigan wooded, dune-and-swale complexes on Lake Superior in the category of low dunes, and there are seven listings there. This one is the one -- this one is ranked first in terms of the quality and preservation of the -- and conservation value to habitat.

1 Q So in those categories, they -- these authors gave it an A?

2 A Yes; out of -- they have A's and B's and C's and AB's and

3 BC's, and it's the only one that has a straight-out A.

4 Q Is there any other dune-and-swale complex on the Lake

5 Superior shoreline that they gave a straight A to?

6 A In the previous table, the -- there's a listing of one, a

7 high dune swale complex for the Iron River in Marquette

8 County, which received an A as well, and that's just down

9 the shore at the outlet of Lake Independence.

10 Q Is the Iron River the outflow of the Yellow Dog River

11 Watershed?

12 A Yes.

13 Q Do you happen to know whether that -- the land there is

14 owned by the Yellow Dog Watershed Preserve?

15 A I don't.

16 Q How many plant species did the authors of the dune-and-swale

17 complex study identify in the mouth area of the Salmon

18 Trout?

19 A They list 157, which is half again as many as any of the

20 other complexes that were surveyed in this study.

21 Q Does that surprise you, the number?

22 A No, not particularly, because it's pretty typical of what

23 happens of what we see. And most of the habitats of this

24 area, which are largely due to their lack of history of

25 significant disturbance in management, have unusually high

1 diversity. The flora of the Huron Mountain Club as a whole  
2 is about 800 plant species, but I could list other Taxa, but  
3 that's just one that's well-documented. And that's by a  
4 recent estimate done by Professor Mike Palmer at the  
5 University of Oklahoma, who's collected floras for areas of  
6 different size and shape, as it were, over the entire North  
7 American Continent and has developed mathematical models to  
8 predict diversity. That's about half as -- half again as  
9 many species as we -- as his model predicts should be in an  
10 area of this extent and this location, so it's fairly  
11 typical of the region to be unusually diverse.

12 Q And to what do you attribute the enhanced biodiversity of  
13 this land?

14 A Well, one factor is simply the diversity of habitat.  
15 There's a lot of -- within an area of a couple of tens of  
16 thousands acres here, there is a greater diversity of --  
17 simply a greater diversity of habitat that you can find in  
18 very many places in the Midwest in areas of that size. But  
19 it also almost certainly is related to the historical lack  
20 of events that would cause loss of species; in particular,  
21 the lack of extensive land management clearance, conversion  
22 and re-establishment of forests and so forth. All of those  
23 basically allow populations that are sparse or of low  
24 density to maintain themselves when they can be easily lost  
25 otherwise. The size of the area probably helps, too.

1           Because then if there is a local loss of species, there's a  
2           potential for re-colonization from other local populations.

3       Q     Will you turn with me, please, Dr. Woods, to page 75 of the  
4           dune and swale survey?

5       A     Uh-huh (affirmative).

6       Q     In the first full paragraph on page 75, the authors wrote --  
7           and reading only a part of the sentence. "The vegetation of  
8           this complex reflects what was encountered by the land  
9           surveyors in the 1850's." What do you take that to mean?

10      A     The -- like all of the Midwest, this area was the first  
11           documentation of the vegetation and habitats of the  
12           landscape that was systematically done was by the original  
13           surveyors of the Government Land Office who lotted out the  
14           sections and townships. And part of their protocols were to  
15           record habitats and record particular trees and so forth  
16           that they encountered. So it's our earliest record of  
17           what's on the landscape. If you visit most landscapes and  
18           compare what you see on them to what the land surveyors of  
19           the General Land Office surveys noted, it will be a very  
20           different picture for fairly obvious reasons. So they're  
21           making the observation upon that, that it's unusual to find  
22           this kind of persistence of a composition and appearance of  
23           a -- species composition of a landscape that has been more  
24           or less sustained through that 150 years since the surveys.

25      Q     Almost at the bottom of the page, the authors wrote on page

1           75, "Current management of this complex appears to ensure  
2           its long-term viability as a natural area." What do you  
3           take that to mean?

4       A     I think it probably refers to the commitments and the bylaws  
5           of the Huron Mountain Club to maintain the conservation  
6           values and integrity of the land that they're managing under  
7           their own objective.

8       Q     Doctor, we've looked at this Exhibit 6-d-M as a snapshot of  
9           -- well, first let me stop myself.

10           MR. DYKEMA: Your Honor, I offer Exhibit 6-d-M.

11           MR. PREDKO: Your Honor, we would have the same  
12           objection to this exhibit. This exhibit was not provided in  
13           advance. The first time I've seen this exhibit is today.  
14           It's 150 pages long. And I've not had time to review it.  
15           And we object because we're prejudiced by the late provision  
16           of the document.

17           MR. DYKEMA: Well, again, your Honor, we're a  
18           little surprised and taken aback that everything that  
19           happened before the Department of Environmental Quality  
20           during the permitting process has been relegated to  
21           oblivion. This isn't new. This was submitted to the  
22           department. It was shared with Kennecott through the  
23           department two years ago. If counsel wants some time to  
24           review before deciding whether to make an objection, that's  
25           fine. This is certainly the kind of material in which the

1 scientists like Dr. Woods routinely rely.

2 JUDGE PATTERSON: Do you want some time to review  
3 it?

4 MR. PREDKO: If I could, your Honor, and then come  
5 back tomorrow possibly with a specific objection. I mean,  
6 the witness has already testified about things in it.

7 JUDGE PATTERSON: Right.

8 MR. PREDKO: But it's the other stuff that's in  
9 this document that I guess I have questions on.

10 JUDGE PATTERSON: Okay. All right.

11 Q Dr. Woods, we've looked at the wooded, dune and swale survey  
12 as providing a lens on one piece of the Huron Mountain Club  
13 preserved area and as shedding some light on the value of  
14 that piece of the area as a reference ecosystem. Can you  
15 describe for the Court any other papers that you think are  
16 of particular significance in highlighting in a similar way  
17 the value of the property as a reference ecosystem?

18 A Sure. Amongst the published works, the peer-reviewed  
19 papers, certainly my own work with the forest community  
20 dynamics would fall into that category. We actually  
21 understand very little the properties and behavior of old  
22 growth forest. We have a lot of lore about them, but we  
23 really don't know that much about them. And that's largely  
24 because of lack of good baseline data from reference  
25 ecosystems. So this kind of opportunity and the papers that

1 come out of it would be another example.

2 Some of the aquatic -- papers on aquatic systems  
3 have -- would fall in the same category, the work that  
4 Professor Huckins from Michigan Tech has been doing in the  
5 Salmon Trout River looking at the fish communities there has  
6 both baseline value in its own right but it's also  
7 comparable to studies that have been done on the Salmon  
8 Trout River in the past. The study of small mammals that I  
9 mentioned earlier has not yet been published in peer review  
10 literature, but it will be, and it certainly falls into the  
11 same category.

12 There's a study that recently reached publication  
13 in two papers that is looking at the soil chemistry of old  
14 growth forests as related to canopy gaps and species of  
15 trees in the canopy. And that, too, is a study that could  
16 only be done in this kind of context, because it's trying to  
17 assess whether the old growth forest -- whether the chemical  
18 and hydrological properties of the soils of old growth  
19 forests are, in fact, distinct from those of managed -- a  
20 forest with management history. There are probably other  
21 examples, but those are the ones that come to mine.

22 Q You mentioned a paper prepared by, among others, Professor  
23 Huckins. Can you turn with me, please, in your binder to  
24 the document behind tabs J, K and L? And my first question  
25 to you, Dr. Woods, is whether these are reports on research

1           that has been conducted under the auspices of the  
2           foundation?

3       A      Yes.

4       Q      And can you summarize for the Court the research reflected  
5           in these reports?

6       A      Yes. This is a project that's been ongoing now for -- it's  
7           in its seventh or eighth year and has been specifically  
8           addressing the general ecological relationships of a unique  
9           population of brook trout that live in the Salmon Trout  
10          River. They're called Coasters. And they behave like a  
11          freshwater salmon. They're unusual in that they swim out  
12          into Lake Superior as adults and spend their adult life  
13          there except coming back into the stream to breed. And so  
14          this is a general study of the fish communities, the  
15          population dynamics of the Coaster trout, their  
16          relationships to other species in the stream, the one  
17          specific focus being on their relationship with some of the  
18          introduced salmons. But it's specifically taking place here  
19          simply because this is a very rare organism that used to be  
20          considerably more widely distributed. Coaster populations  
21          occupied dozens of streams on the south shore of Lake  
22          Superior, and this is the only one where they have persisted  
23          again in large part presumably because of the -- because the  
24          landscape through which the stream is running has remained  
25          relatively pristine.

1 Q You mentioned that Professor Huckins' research also concerns  
2 the fish community in the Salmon Trout?

3 A Yes.

4 Q Did Professor Huckins have earlier reference points with  
5 which to compare the current fish community in the river?

6 A There have been several previous fairly thorough studies of  
7 fish communities in a number of the bodies of water on the  
8 Huron Mountain Club including the Salmon Trout River. And I  
9 believe the earliest ones go back as early as the 30's, I  
10 think. But there are certainly more recent ones, too. So,  
11 yes, there are several stages along the way to which he can  
12 compare his findings.

13 Q How did Professor Huckins conclude the current fish  
14 community in the Salmon Trout compares with the community  
15 found generations ago?

16 A It's little changed. He has -- as one would expect in a  
17 diverse ecosystem like this, there are some species  
18 populations come and go. So there are a couple species that  
19 he's found that haven't been previously documented and one  
20 or two that had been previously documented that haven't  
21 turned up in his samples. But on the whole, there are --  
22 he's documented 30-odd species. I can't remember exactly.  
23 And most of those have been continuously present through  
24 those surveys.

25 Q You mentioned the Coaster brook trout used to spawn in

1           dozens of Michigan rivers but is now only found to breed in  
2           the Salmon Trout River at least on the streams of the south  
3           shore. Did I understand you correctly?

4       A     Yes. There's a population on ??2:1044 as well.

5       Q     What's the size of the breeding population on the Salmon  
6           Trout as found by Professor Huckins in his multi-year study?

7       A     In the years he's been monitoring the population, he's  
8           documented -- he's been trying to document the number of  
9           mature fish that have been coming upstream to breed. That's  
10          the primary metric we're looking at. And he's seen numbers  
11          that range typically from between 1- and 200. One or two  
12          years that were actually lower than that were probably  
13          anomalously low because his monitoring systems were  
14          vulnerable to floods and otters and things. So --

15      Q     Is this the only example you know of of a plant or an animal  
16          that used to be found more widespread but is now only  
17          found at the Huron Mountain Club?

18      A     No. In fact, of the groups that are well studied, the  
19          mammals and birds and fish, there are quite a few species  
20          that -- in fact, well, I guess I'll put it the other way  
21          around. The species that are known to have been native to  
22          the region -- of the species that are known to have been  
23          native to the region, they're essentially all still there  
24          with one or two exceptions. We don't have mountain lions or  
25          caribou. But that's -- you can't say that of very many

1 areas. So that, in itself, says that. Every time that  
2 somebody looks closely at one of the more obscure groups, we  
3 find documented species that are either species that are not  
4 known from the area at all or are only known from scattered  
5 areas or have not been documented in some time. So there's  
6 several categories of rarity there. There's things that  
7 used to be more widespread and aren't. They're things that  
8 are just rare generally and things that have unique  
9 occurrences. There are several species of -- or I'll say  
10 that a little more carefully. Several genetically distinct  
11 populations of fish, for instance, that live in bodies of  
12 water on the club lands. There's a species of Cisco that  
13 live in Ives Lake and so -- and a couple of the other lakes  
14 which are distinct to those lakes. It's quite likely that  
15 many other lakes of the region would have had -- inland  
16 lakes would have had such genetically distinct populations  
17 that have -- but they're been lost. It's a little different  
18 than the salmon -- than the Coasters but it's a similar sort  
19 of story.

20 Q You discussed at some length the value of the Huron Mountain  
21 Club property as a reference ecosystem given its  
22 pristineness and other qualities. Do the size and the  
23 pristineness of the property also make it valuable as a  
24 refuge for rare and unusual animals rarely found elsewhere?

25 A Certainly. Size is probably the most generally recognize

1           single factor in terms of a habitat's capacity to sustain  
2           populations of anything simply because numbers, size of a  
3           population. A population's persistence is directly related  
4           to its size. So the larger the area in which the population  
5           has a viable habitat, the better chance it has of surviving  
6           indefinitely. And many of the species that are now rare in  
7           the eastern U.S. are rarely simple because the particular  
8           kinds of habitats that they depend on have been radically  
9           reduced in extent. And that applied particularly to what  
10          we're talking about as pristine ecosystems of these  
11          particular habitat plants.

12         Q       You talked about the Coasters. You also mentioned Cisco.  
13           What is a Cisco?

14         A       It's a small fish that's related to a wide -- a large group  
15           of -- a large family of fishes that are found throughout the  
16           Great Lakes area, the whitefishes and their relatives.

17         Q       And are there genetically unique Cisco populations in the  
18           Lake Superior (sic) Mountain Club?

19         A       Yes. There's at least two that I'm aware of that have been  
20           documented. They're sometimes referred -- they're sometimes  
21           classified as distinct species. And taxonomy gets very  
22           sticky at this level. And it's sort of a matter of  
23           philosophy whether you call them distinct species or a  
24           subspecies. But they are clearly genetically distinct, and  
25           there's good published data to that effect, yeah. They're

1           listed, in fact, in the -- in the Michigan's list of rare  
2           and unusual and endangered species and so forth.

3       Q     Are you familiar with a scientist named Dana Richter?

4       A     Yes.

5       Q     What has he studied on the property?

6       A     He's a mycologist. He studies fungi and that's -- and over  
7           the last decade he's been maintaining a long-term monitoring  
8           of population -- communities of mycorrhizal fungi in red  
9           pine forests. Mycorrhizal fungi are the fungi that are  
10          symbiotically associated with the roots of plants. In fact,  
11          most plants including the red pines he's looking at are  
12          completely dependent on those fungi -- association with  
13          those fungi. And most of the mushrooms that you see in the  
14          woods are fruiting bodies of the mycorrhizal fungi. So he's  
15          been documenting the species of mycorrhizal fungi in red  
16          pine stands for, I believe, 12 years this year.

17      Q     Has he found any rare or unusual species?

18      A     Yes, he has. He's found several that are rare or unique in  
19          the region, yes.

20      Q     How about mollusks? Have scientists found any rare or  
21          unusual mollusks?

22      A     Yes. In fact, in almost any group we've looked at closely  
23          there are species that are rare or are unique occurrences in  
24          the sense of only -- this being the only Michigan occurrence  
25          or the only Midwestern occurrence. And that's true in the

1           mollusks. That's been documented by several researchers.

2           That's another group that we have multiple records -- or  
3           multiple studies of over the years so a long-term baseline.

4       Q     How about birds? What's the bird diversity like in the  
5           Huron Mountains?

6       A     It's -- I can tell you exactly on page 5 of the taxa  
7           biodiversity inventory. There's a breakout by -- well, no,  
8           it doesn't break it out birds. It says 372 vertebrates.

9           There are 100-and-some bird species that have been recorded  
10          on the club. I thought it would be on page 112 but -- 234  
11          species. Excuse me. I was underestimating.

12      Q     Can you offer Judge Patterson a qualitative judgment as to  
13          just how rich an avian sampling that is for an area this  
14          size?

15      A     Yeah. This is -- and this is a more subjective judgment  
16          than I was able to offer on the plants, because we have this  
17          extensive compilation of comparable records for plants. But  
18          I think it's pretty safely -- and I think I would get  
19          agreement from pretty much anybody looking at it that this  
20          is an unusually high diversity for a tract of this extent.

21      Q     And is the Huron Mountain Club property a good place to look  
22          for Michigan birds that you don't often see elsewhere?

23      A     Oh, yes.

24      Q     And I notice, Dr. Woods, looking at the list of publications  
25          a number of papers offered by a Dr. William Manierre. Are

1 you familiar with his papers?

2 A Yes. He's done a lot of natural history work at the club  
3 lands. But he's -- probably the most impressive piece of  
4 work is probably the single-most thorough inventory of  
5 bryophytes, which are mosses and liver warts and lichens,  
6 which are another group, for an area of this size of anybody  
7 I know of -- anyplace I know of and has found quite a number  
8 of species that are either new records for Michigan or in  
9 some cases the U.S. and, in at least one instance, it's the  
10 first record of a species in North America.

11 Q Dr. Woods, how common or uncommon is it when a scientist  
12 comes on the Huron Mountain Club property to study or  
13 inventory a class of organisms that he or she finds species  
14 that are rarely, if ever, seen anywhere else?

15 A It's common and it actually is -- the less well studied  
16 group is the more common it is. But it's true even in some  
17 of the well studied groups like the plants and the mosses.  
18 There's species of cactus that occurs nowhere else in  
19 Michigan and only one other site in the upper Great Lakes in  
20 Wisconsin that it occurs on the Huron Mountain Club lands.  
21 And there have been a number of groups of insects that have  
22 been rather thoroughly inventoried like the mayflies and a  
23 family of wood-boring beetles that -- where the same kinds  
24 of things have occurred and recurred species documented here  
25 for the first time in Michigan, for the first time in the

1 Midwest. There are actually a couple of species of mites  
2 that have been described from their first and only  
3 described -- only ever recorded from the Huron Mountain Club  
4 and actually they're named after the Huron Mountains.

5 Q Dr. Woods, is there any piece of property elsewhere in the  
6 northern Great Lakes region quite like this in terms of its  
7 value as a reference ecosystem and as a refuge for rare and  
8 threatened species?

9 A Well, I've mentioned the two properties that would be most  
10 frequently probably compared or listed with it, and that  
11 would be the Sylvania tract in the Porcupine Mountains State  
12 Park in terms of reference ecosystems or large tracts of  
13 pristine landscape. They're different so one doesn't  
14 substitute for the other. In terms of the level of  
15 diversity and security, certainly the Huron Mountains would  
16 rank above the Sylvania tract even though it's somewhat  
17 larger in area. The Huron Mountains are more comparable,  
18 but the Huron -- I mean -- excuse me. The Porcupine  
19 Mountains are more comparable, also larger in area. But  
20 they're also a lot more subject to intense human presence.  
21 And that has certainly an effect on some aspects of the  
22 reference ecosystem properties. But that would be about it.

23 Q How about the McCormick tract which is just south of the  
24 mine site? How would you compare it with the Huron Mountain  
25 Club Preserve?

1       A     It's a very different kind of place. It's smaller. It's a  
2           different kind of ecosystem. It certainly has value in the  
3           same ways along with two or three other somewhat smaller  
4           tracts in the region. On its own it would not, I think,  
5           rank anywhere near the same value as the Huron Mountain Club  
6           lands. But the fact is that it's actually part of a larger  
7           landscape that is, although there's managed lands in between  
8           them, still consists of pretty intact -- maintains pretty  
9           intact habitat corridors. So in a way, it supplements  
10          the -- and increases the reference ecosystem value of the  
11          larger -- the presence of both of them increases the value  
12          of the larger reference ecosystem landscape.

13       Q     Are you aware of any peer review literature that  
14           specifically documents the use by any kind of animal of the  
15           Huron Mountains and the McCormick as an integrated whole?

16       A     No, I'm not aware of any published studies that have looked  
17           at that.

18       Q     In your professional opinion and in your expert opinion, do  
19           you have any doubt that there are species of megafauna or  
20           birds or other animals that use the Huron Mountain Preserve  
21           and the McCormick tract and the land between them as an  
22           integrated corridor?

23       A     No. I don't think anyone would doubt that large predators  
24           and birds of prey and so forth would see that all as a  
25           single range, in fact.

1 Q And if there were a large industrial facility built smack  
2 dab in the middle of this, would you expect that to disturb  
3 animal behavior?

4 A It would certainly be an interruption of the continuity of  
5 occupiable have habitat.

6 Q Dr. Woods, you've shared with us a very impressive knowledge  
7 of the research that has been conducted in this area in a  
8 wide variety of biological fields. I'd like you go give  
9 Judge Patterson a sense of to whom this work is of value.

10 And let me put it to you this way. Is the scientific  
11 interest and value of the Huron Mountain Preserve -- is that  
12 something of concern only to northern Michigan biologists?

13 A Well, no. And, in fact, in the last couple of years we've  
14 had researchers bringing us proposals from institutions  
15 ranging from University of Wyoming to the University of  
16 Missouri to the University of Delaware. And so just in that  
17 respect we've had perhaps 50 researches on the club lands in  
18 the last two or three years, and probably a good third of  
19 them have been from further afield than just the upper Great  
20 Lakes or Michigan. And certainly the papers that have been  
21 published by our researchers have been very widely cited by  
22 other researchers in a much wider arena, if that's  
23 addressing your question.

24 MR. DYKEMA: Your Honor, before I pass the  
25 witness, I'd like to attend to a little bit of unfinished

1 homework. First I'd like to offer into evidence Exhibit 24,  
2 which is the all taxa biodiversity inventory that Dr. Woods  
3 has prepared over the years. That's in second to the last  
4 item in the binder. You'll recall, your Honor, that Mr.  
5 Townsend testified about that. And in response to an  
6 objection, we promised that we'd produce the ??flogger  
7 2:2740??\* materials.

8 JUDGE PATTERSON: I do recall that.

9 MR. PREDKO: May I voir dire the witness, your  
10 Honor?

11 JUDGE PATTERSON: Pardon?

12 MR. PREDKO: May I voir dire the witness?

13 JUDGE PATTERSON: Sure.

14 VOIR DIRE EXAMINATION

15 BY MR. PREDKO:

16 Q Dr. Woods, you testified that you prepared this document  
17 entirely based upon the historical articles of the Huron  
18 Mountain Club; correct?

19 A Yeah, the corpus of research publications from work there.

20 Yes.

21 Q Okay. And so this all taxa biodiversity inventory is a  
22 history inventory. It does represent and you're not  
23 representing in here that all of these species currently  
24 exist at the Huron Mountain Club today; correct?

25 A That is correct. In fact, where we know there's a chance or

a likelihood of their having been extirpated, we note that.

But in going through this exercise, I mean -- and you note in the introduction that it's a -- it was a tremendous deal of work to go through and compile all of the information from all of the historical papers. And you note that -- in here that it would have been cumbersome or impossible to go back to all of the authors and talk to them about their papers to confirm what was in there. You relied on history information from as far back as 1920; correct?

Yes. But a very small fraction of the listings are based on anything older than 10 or 20 years, yeah.

Okay. But again you didn't go back and confirm when you wrote this in August of 2007 that each and every one of the 4,321 species still exist at that time; correct?

No, I did not. That's correct.

MR. PREDKO: Your Honor, we would not object to the extent that it's admitted for the purposes that -- that Dr. Woods has just testified about, that it's a history inventory.

JUDGE PATTERSON: Mr. Reichel?

MR. REICHEL: I would take the same position. The witness has testified he's compiled this from review of some existing data. Within that context, we have no objection.

MR. DYKEMA: Your Honor, I also would like to offer the three papers on the Coastal brook trout, which we

1 have identified as Exhibit 6-d-J, 6-d-K and 6-d-L. And I  
2 will volunteer that, if counsel would like some time to look  
3 at those before responding to our offer, we're certainly  
4 amenable to that.

5 MR. PREDKO: Well, your Honor, I do object to  
6 these because these are brand new exhibits today. This is  
7 the first time that they've produced or identified these  
8 exhibits. However, there's a more important reason why they  
9 cannot be admitted substantively for their results by this  
10 witness. This witness has testified that he is an expert in  
11 forestry ecology, community ecology. He is not an expert in  
12 aquatic ecology. He is not an aquatic biologist. That's  
13 who conducted these studies. And if they want to bring in  
14 an expert on aquatic species to come in and talk about  
15 aquatic species, that's fine. But this -- these exhibits  
16 should not be admitted through this witness -- the substance  
17 of them. We don't have any objection to Dr. Woods  
18 testifying that these are studies that were performed on  
19 Huron Mountain Club property. But the results of the  
20 studies, I do believe this witness is qualified to testify  
21 to.

22 MR. DYKEMA: Your Honor, the witness has testified  
23 that, in his capacity as on the editorial boards of some of  
24 the major ecological publications in the world, he is  
25 routinely called upon to analyze, assess and evaluate

1 proposed scientific papers in all fields of ecology, aquatic  
2 as well as terrestrial. So I think he's -- he's certainly  
3 in a position to validate these studies as having been  
4 performed for the foundation. He is in a position as  
5 director of the foundation to assess whether this is worthy  
6 of the foundation. And I think his general background and  
7 expertise qualify him to vouch for the quality of the work.

8 JUDGE PATTERSON: Are either of the authors going  
9 to be presented as witnesses?

10 MR. DYKEMA: We had not anticipated calling them,  
11 your Honor.

12 JUDGE PATTERSON: Is your purpose merely to have  
13 Dr. Woods as in previous -- these were gotten under the  
14 auspices of the Huron Mountain Foundation? Or are you  
15 entering them for the substance of the --

16 MR. DYKEMA: Well, I'm entering them for the  
17 substance insofar as Dr. Woods has already touched upon it.  
18 And we've elicited from Dr. Woods two specific points. One  
19 is that the fish community in the river is highly comparable  
20 to what it was generations ago. That's touched on in these  
21 reports, and Dr. Woods has testified to that effect. I  
22 think it would be useful to have these exhibits in the  
23 record to validate what he has said.

24 Secondly the historic population and the current  
25 population of the Coastal brook trout. Again Dr. Woods'

1                   testimony came in on that subject without objection. These  
2                   papers simply back that up.

3                   MR. PREDKO: The testify -- Dr. Woods' testimony  
4                   summarizing the kinds of research like the fish research  
5                   that was done on the property is fine. He can testify to  
6                   that as the director of the Huron Mountain Club. But the  
7                   substance and the results of these studies, he's not a  
8                   qualified expert to testify to that. Once again, if they  
9                   want to bring in an aquatic expert to testify to the results  
10                  of these studies and talk about exactly what was done to the  
11                  Coastal brook trout, that's fine. But this witness is not  
12                  an appropriate witness for that, with all due respect to Dr.  
13                  Woods.

14                  MR. DYKEMA: Your Honor, I'd submit these are  
15                  materials upon which an expert of Dr. Woods' credential  
16                  routinely relies.

17                  JUDGE PATTERSON: Well, I'm going to leave the  
18                  testimony as it stands on Dr. Woods' testimony and not admit  
19                  the underlining exhibits. I think other than what he's  
20                  testified to, in some way they go beyond the scope of his  
21                  expertise and they're clearly hearsay. So I will exclude  
22                  those three documents.

23                  MR. DYKEMA: If I may have one moment, your Honor,  
24                  to collect my thoughts?

25                  JUDGE PATTERSON: Sure.

1 (Off the record)

2 DIRECT EXAMINATION

3 BY MR. DYKEMA: (continued)

4 Q Dr. Woods, are you a toxicologist?

5 A I'm sorry?

6 Q Are you a toxicologist?

7 A No, I'm not.

8 Q If the Kennecott Mine were to result in the deposition of  
9 toxic metals such as copper and nickel into the lands and  
10 waters of the Huron Mountain Club, would that, in your mind,  
11 raise a serious concern about potential damage to the land  
12 as a reference ecosystem and as a refuge of plants, animals  
13 and fungi?

14 MR. REICHEL: Objection. Lack of foundation.

15 MR. PREDKO: I have the same objection, your  
16 Honor. Again counsel for the Huron Mountain Club has  
17 established that Dr. Woods is not a toxicologist.

18 JUDGE PATTERSON: It was a leading question. I'll  
19 sustain it on that basis. You can rephrase.

20 Q Dr. Woods, did you submit a letter to the Department of  
21 Environmental Quality raising concerns that you had about  
22 the proposed Eagle Mine?

23 A Yes, I did.

24 Q What's the basis for your concerns?

25 A It's well established within ecosystem ecology and forest

ecology that inputs to an ecosystem of either nutrient materials or potentially toxic materials can have large effects on the functions of those systems. And that includes acid deposition. That's a fundamental and well understood part of forest ecology now. It also includes heavy metals in aerial deposition. So in terms of forest dynamics and function, I had and have concerns about whether, if such input should come about -- I have concerns that they would damage the reference ecosystem values for researchers of the landscape because we would now have a force or a factor influencing dynamics that would no longer allow the powerful comparisons we have now to be able -- that we can now make between the dynamics of this landscape and others.

Q Do you believe -- do you have an opinion as to whether there's a significant likelihood that such a result would occur if heavy metal bearing particulates were deposited in the lands and forests of the Huron Mountain Club?

A If such deposits were to come about, I do have a concern that that's -- I do think that's a realistic concern that there would be effects on patterns of growth, population dynamics of -- probably the most vulnerable aspects of an ecosystem in the -- of a terrestrial ecosystem begin in the soil functions, but they propagate from there throughout.

MR. DYKEMA: Thank you, Dr. Woods. Your Honor, I

1 pass the witness.

2 JUDGE PATTERSON: We can take about a 15-minute  
3 break.

4 (Off the record)

5 JUDGE PATTERSON: This one first.

6 MR. PREDKO: I will, your Honor.

7 JUDGE PATTERSON: Okay.

8 MR. PREDKO: Afternoon, Dr. Woods, I'm Chris  
9 Predko and I'm an attorney on behalf of Kennecott. I have a  
10 few questions for you this afternoon.

11 CROSS-EXAMINATION

12 BY MR. PREDKO:

13 Q For these first couple I'm going to refer to what's already  
14 been admitted is Petitioner's 32 which is this plat map.

15 A Okay.

16 Q I saw you looking at that during the break. Are you  
17 generally familiar with the area of the Huron Mountain Club?

18 A Yes.

19 Q And its boundaries?

20 A Generally, yeah.

21 Q And other witnesses testified for the Huron Mountain Club  
22 yesterday about the boundaries that -- you probably can't  
23 see it from there but it's outlined in yellow on this map?

24 A Yes.

25 Q Now, all of the scientific studies that you testified about

1 today and all of the rare and unusual species that you  
2 talked about, those are all within the confines of the  
3 boundaries of the Huron Mountain Club; correct?

4 A No, that's actually not strictly true. The all taxa by  
5 diversity inventory is limited to accomplish new species  
6 that have been documented out in the club lands but studies  
7 supported by the foundation are more wide range. The  
8 foundation's mission only specifies the upper Great Lakes  
9 region and in fact a number of the particular papers and  
10 studies that have come out of foundations work include work  
11 in habitats outside of the club boundaries.

12 Q Okay. Well, tell me this. How many studies has the club  
13 done about the Yellow Dog Plains?

14 A Well, the foundation -- there are two or three that have  
15 worked on the Yellow Dog Plains, including the ones I'm  
16 remembering were in fact insect focus studies. But both of  
17 the -- the bulk of the foundation's supported work has not  
18 addressed the Yellow Dog Plains.

19 Q Now, you talked about an early ecologist Aldo Leopold.

20 A Uh-huh (affirmative).

21 Q And you talked about that, his report, and he was hired as a  
22 consultant for Huron Mountain Club; correct?

23 A That's correct.

24 Q And the report that you talked about is Petitioner's Exhibit  
25 31 and I think you have a copy in that book in front of you?

1 A I do.

2 Q And one of the things that Aldo Leopold recommended was that  
3 the club adopt a land plan; correct?

4 A Uh-huh (affirmative).

5 JUDGE PATTERSON: You have to say "yes" or "no."

6 THE WITNESS: I'm sorry.

7 A Yes.

8 Q And part of that land plan was for the club to adopt this  
9 reserve area; correct?

10 A Yes.

11 Q And then outside of the reserve area there would be what's  
12 called a buffer area; right?

13 A Yes.

14 Q And his recommendations about that buffer was that it was  
15 going to be selectively logged and that there could be human  
16 presence on that buffer zone keeping the inside reserved  
17 area natural; right?

18 A Yes.

19 Q Now, one of the other things that Leopold recommended was  
20 that the club extend the buffer zone if it could. Are you  
21 familiar with that?

22 A I do recall his making that suggestion.

23 Q And one of the areas that he thought it would be useful for  
24 the club to extend to is the entire watershed of the Cedar  
25 Creek. Okay?

1 A Yes.

2 Q Are you familiar with that?

3 A Yes.

4 Q Did the club do that?

5 A I don't believe so. I am -- the foundation and the club are

6 separate entities, so what the club does and doesn't do in

7 terms of their plans for acquisition is really outside of

8 any knowledge I have. But the current club boundaries

9 don't, I don't believe, include the entire Cedar Creek

10 watershed.

11 Q Now, the other thing he talked about when he was talking

12 about additions -- and we put the report up on the screen

13 also and I will identify the page for you. On page ten of

14 his report when he was talking about making additions --

15 A Page ten is one of the pages not in my copy.

16 Q Oh, well, it's up on the screen for you and we'll highlight

17 the portion that I want you to see. And Leopold says, "The

18 addition of the entire watershed of the Salmon Trout River

19 is out, for its headwaters have already been slashed to such

20 an extent as to destroy its value as a natural area for

21 scientific study"; right?

22 A That's what it says.

23 Q Okay. Now, are you familiar with the Salmon Trout

24 watershed?

25 A Yes, generally.

1 Q Okay. And that's -- actually we put -- this is an exhibit  
2 that was entered yesterday through Ms. Pryor, Petitioner's  
3 Exhibit 11, sub 26. And is this what you know as the Salmon  
4 Trout watershed?

5 A It is the system.

6 Q Okay. And when Leopold is talking about the headwaters he's  
7 talking about this area down here (indicating), the seat;  
8 correct?

9 A That would be consistent with his calling it "headwaters."  
10 He wrote this 20 years before I was born, so it's hard to  
11 say for sure.

12 Q Your understanding of the term "headwaters" though --

13 A Yeah.

14 Q -- would be that he's referring --

15 A Well, those are headwaters.

16 Q Those are headwaters?

17 A Yeah.

18 Q Okay. Now, you know where the site -- the proposed site is  
19 going to be, don't you?

20 A It's as mapped there, yes.

21 Q Yes. And that is actually part of those headwaters, it's in  
22 that area right there that I'm pointing to at the southern  
23 tip of the watershed?

24 A Yes.

25 Q That Leopold referred to as slashed and destroyed; correct?

1 A He said destroyed as a natural area.

2 Q That's right. He said slashed -- well, when he said they  
3 were slashed he was talking about logging; right?

4 A He was talking about logging.

5 Q Okay. And you know that the logging that took place that he  
6 was talking about at that time, the logging -- the slashing  
7 logging as opposed to selected logging continued to occur on  
8 the Yellow Dog Plains up until very recently and probably  
9 still continues today; right?

10 A There's some logging that continues, yes.

11 Q Okay. Have you been down to the area where the mine is to  
12 be located?

13 A No, I didn't -- the last several years I have been through  
14 the area but it's not recently.

15 Q Okay. I'm going to show you a couple of photos and these  
16 have been admitted this morning. This is part of the mining  
17 application. This is Intervener 12, Bates stamp KEMC  
18 109102, and I'll represent to you, Dr. Woods, that these are  
19 photos of the mine site. And would you classify that area  
20 as heavily logged?

21 A It's certainly been cleared in some areas.

22 Q Okay. Not the pristine type of environment that exists at  
23 the Huron Mountain Club?

24 A The kind of environment that exists at the Huron Mountain  
25 Club never existed on the Yellow Dog Plains; it's a fire

1 ecosystem and always has been.

2 Q Okay. But you don't see this up at the Huron Mountain Club;  
3 correct?

4 A No; that's correct.

5 Q Okay. And again, this is another picture of where the site  
6 will be located, again not the type of pristine natural  
7 environment that you find at the Huron Mountain Club;  
8 correct?

9 A Yes.

10 Q Yesterday Mr. Townsend testified for the Huron Mountain  
11 Club; are you familiar with Mr. Townsend?

12 A Only by vague acquaintance. I mean, I'm not an  
13 acquaintance.

14 Q Okay. And you know that he's a member of the Huron Mountain  
15 Club?

16 A Yes.

17 Q Okay. And he testified a little bit about the Salmon Trout  
18 River and the falls that exist on the Salmon Trout River.  
19 I'm going to -- this is a map and it's the same type of plot  
20 map, and you've identified there along the Salmon Trout  
21 River some falls and I want to ask you whether this is  
22 consistent with your knowledge about the location of water  
23 falls and dams along the Salmon Trout. And if you need to  
24 get up to see it, you're welcome to do so, Dr. Woods.

25 A No, if you're just asking whether those are actual --

1 Q Now, that one right -- too much caffeine this morning, but  
2 that one right there; that's the lower falls; correct?

3 A Yes.

4 Q Okay. And the next red dot right there (indicating) there's  
5 a lower dam?

6 A Yes.

7 Q Okay. And that one right there is the middle falls?

8 A Yes.

9 Q Okay. And then there's the Burnt Dam; correct?

10 A Yes.

11 Q And the upper falls; right?

12 A Yes.

13 Q Okay. Now, on this map where is the habitat of this Coaster  
14 Brook trout?

15 A The nest, the breeding habitat is primarily -- is downstream  
16 from those.

17 Q Downstream, so it is on this map north of the lower falls;  
18 correct?

19 A That's correct.

20 Q Okay. And Mr. Townsend testified yesterday that those lower  
21 falls prevent fish from going further upstream and southern  
22 on this map; correct?

23 A I don't know what Mr. Townsend testified to.

24 Q Well, I'm telling you that's what he testified to; would you  
25 agree to that?

1 A It seems reasonable to me. I'm not a -- as you said, I'm  
2 not a fish biologist.

3 Q Fair enough. Do you have -- well, you do have knowledge  
4 about the species that are on the club lands; correct?

5 A I'm familiar with the documents that have been produced  
6 about them.

7 Q Okay. You specifically testified about the coaster?

8 A Yeah.

9 Q All right. And you told me that its breeding grounds are  
10 above the lower falls; right?

11 A Yes.

12 Q Okay. Do you have knowledge of any coasters ever being  
13 found -- let me get my terms right here -- downstream from  
14 the falls -- upstream from the falls? Let me get it right  
15 before you answer it. All right.

16 A Upstream? I don't have knowledge of the coasters upstream.

17 Q Okay. And you're aware that in general falls and dams would  
18 be barriers for those fish?

19 A To migratory fish, yes.

20 Q Now, we covered the area about your expertise and you said  
21 in response to Huron Mountain's own questions that you're  
22 not a toxicologist; correct?

23 A That's correct.

24 Q Okay. But do you have concerns about any metals  
25 deposited on Huron Mountain?

1 A Yeah, that's not a toxicological issue; that's an ecosystem  
2 function issue.

3 Q And I understand and my question to you is you haven't made  
4 any analysis as to the types and percentages and  
5 concentrations of chemicals that are going to exist as a  
6 result of this mine, have you?

7 A No, I'm not.

8 Q And you have no opinion on that, do you?

9 A No, I do not.

10 Q The all taxa inventory that you drafted, we --

11 MR. PREDKO: And this is a little bit discouraging

12 because of the presentation of this exhibit, your Honor.

13 The all taxa inventory was presented as an exhibit.

14 MR. REICHEL: Counsel, I believe that was --

15 Petitioner's Exhibit 24 was actually introduced yesterday.

16 JUDGE PATTERSON: That's correct.

17 MR. PREDKO: Okay. And it's marked 24 in this  
18 trial. Okay. You're right. Thank you.

19 Q Okay. Exhibit 24; do you have that in front of you, Doctor?

20 A It's in here somewhere.

21 A Yes, I have it.

22 Q And we already talked about how this is a -- it's a  
23 historical inventory of the species and subspecies at the  
24 Huron Mountain Club; correct?

25 A Yes.

1 Q And this document was compiled by you, prepared by you in  
2 August of 2007?

3 A This version of it, yes; it's updated.

4 Q And in putting this together you thoroughly reviewed all of  
5 the papers of the Huron Mountain Club; correct?

6 A All that I had and all that were present in the archives and  
7 familiar to me, yes.

8 MR. DYKEMA: Chris, I don't want to interrupt but  
9 I assume you meant to say "foundation."

10 MR. PREDKO: Yeah, I guess I am getting those

11 terms mixed up. Thank you, Peter.

12 Q And so that's what your counsel has just corrected me on is  
13 that so all of the studies that have been done have been  
14 funded by the group called the foundation; correct?

15 A Actually just in essence, but they weren't all funded by --  
16 many of the studies are done on other funding sources. We  
17 just -- the foundation is the door to use of this landscape.  
18 We have approve many studies that don't request funding from  
19 us. They're all studies under our auspices, yes.

20 Q And after conducting this thorough review -- and if you'll  
21 look with me at page five, by my count, Dr. Woods. I mean,  
22 it's very thorough on a lot of species and subspecies and  
23 that the Kingdom of Fungi, for example, you've got over 800  
24 species listed it looks to me?

25 A Yes.

1 Q If my math is correct, you've got 1255 insects listed;  
2 correct?

3 A That's correct.

4 Q You know, you've even got -- in the Kingdom Animalia you've  
5 got in the text here the feral house cat listed; correct?

6 A Yes.

7 Q And you also list -- the humans are listed; correct?

8 A Yes.

9 Q Okay. So extremely thorough historical inventory. I do  
10 note though however, Dr. Woods, that nowhere in here do you  
11 note the existence of the Kirtland's Warbler; correct?

12 A That's correct; it has not been documented on the club.

13 Q And nowhere in here do you document the species called the  
14 Coaster Brook trout, do you?

15 A It's not designated taxonomically as a separate species,  
16 even though it's a genetically distinct group within the  
17 brook trout; that its status -- taxonomic status is still  
18 under review.

19 Q Now, Dr. Woods, you didn't answer my question. Nowhere in  
20 this inventory did you list or mention this Coaster Brook  
21 trout, did you?

22 A That's correct. That's correct, because it is not  
23 identified as a distinct species in the taxonomic literature  
24 yet.

25 Q Okay. Well, fair enough, Dr. Woods. Now, if you'll flip

with me to page 109. Now, you do talk about a distinctive form of lake trout called the Rush Lake trout; correct?

It's not a -- it's not -- yes, because it has been published as a distinct genetic entity.

Well, you didn't identify it further in the inventory, did you?

Yes. But you'll notice that it's listed as *Salvelinus* *Namaycush* *Erinaceus*, which is a varietal designation, not a distinct species.

I see that, but you didn't include it any of the listings; correct?

That's correct, because restricted this to distinct published taxa.

Right. And so while you list this Rush Trout whose taxonomic status has not been formerly studied, you don't list the Coaster -- correct? -- nor do you refer to it in the introduction?

That's correct.

MR. PREDKO: Thank you, Dr. Woods.

MR. REICHEL: Good afternoon Dr. Woods. My name is Robert Reichel; I represent the Department of Environmental Quality in this proceeding. I just want to follow up on a few points raised in your direct examination.

## CROSS-EXAMINATION

BY MR. REICHEL:

1 Q Counsel asked you, among other things, about water quality  
2 in the area within the Huron Mountain Club that's been the  
3 study -- the subject of varies studies that you testified  
4 to. Do you recall that?

5 A Yes.

6 Q And I recall that you were -- do you recall being asked  
7 about whether or metals or pesticides had been detected in  
8 water bodies within the Huron Mountain Club boundaries?

9 A I wasn't asked whether they had ever been detected, I was  
10 simply asked to describe the quality of the waters --

11 Q Fair enough.

12 A -- in terms of their presence, yeah.

13 Q Okay. And I believe that my notes reflect that you said  
14 that metals and pesticides had not been detected or were not  
15 a concern anywhere within the Huron Mountain?

16 A I don't think I said anywhere within the Huron Mountains.

17 Q Okay. What --

18 A Within some of the bodies of water in the Huron Mountains I  
19 have -- we have published reports on the levels of these  
20 things. But I've also spoken to people, and perhaps some  
21 state agency water monitors were there once when I was on  
22 site who were using Mountain Lake, which is the long skinny  
23 one there, as a sort of a baseline site for measuring  
24 concentrations. And that's a particular site where  
25 people -- where I have been -- where it's been -- where I

1 have been told that the levels are low enough to -- some of  
2 these are below the levels of detection of the instruments.  
3 And certainly the documents that are in reports to the  
4 foundation list the very lowest levels of most of these  
5 things for Mountain Lake. They're certainly not the same in  
6 all the waters of the club.

7 Q Thank you for the clarification. Do you understand mercury  
8 to be metal?

9 A Yes.

10 Q Is your testimony that mercury has not been detected in any  
11 of the -- either the lakes or streams or other surface water  
12 bodies within the Huron Mountain Club?

13 A No.

14 Q Is in fact --

15 A It's been detected but at very low levels in most of the  
16 waters compared to many other waters that I've seen.

17 Q Compared to other waters where?

18 A I'm not a -- I don't have a real breadth of familiarity with  
19 those because it's not my field. I'm acquainted with some  
20 measurements in the area where I work now and live in the  
21 Adirondacks of New York and lakes of New England. There's  
22 considerably higher area deposition of a number of things in  
23 that part of the country.

24 Q Okay. Fair enough. But if you don't know the answer to  
25 this question then tell me. But you've testified that a

1           major focus of your research is in the upper great lakes  
2           region; correct?

3     A       Right.

4     Q       Understanding your personal or --

5     A       My personal research is, yes.

6     Q       Interest is in forest issues primarily?

7     A       Yes; yes.

8     Q       But to the extent you have any -- you've had occasion to  
9           look at water quality data with respect to the location to  
10          the Huron Mountain Club, would you agree that in that region  
11          of the upper great lakes that it is very common to detect  
12          mercury in surface water bodies including, for example, Lake  
13          Superior?

14    A       That's my understanding.

15    Q       And is it your understanding, sir, that unfortunately  
16          mercury has been widely distributed into or deposited into  
17          surface waters in this area as the result of airborne  
18          deposition?

19    A       Yes, that's my understanding as well from people, study,  
20          yeah, on water quality.

21    Q       And again, is it your understanding, sir, that identify --  
22          or sources or understood sources of this widespread  
23          deposition -- airborne deposition of mercury include coal-  
24          fired power plants, for example?

25    A       That would be the general understanding that I'm familiar

1           with, yes.

2       Q     Which, again, if you know this answer and if you don't just  
3           say so, but is it your general understanding as an ecologist  
4           that, again, unfortunately as the result that airborne  
5           mercury, for example, has been widely transported through  
6           the atmosphere and deposited into surface water bodies at  
7           many long distances from where it originated as a result of  
8           again for example coal fired electric generators?

9       A     Yes, I understand that that is understood to happen, yeah.

10      Q     You were asked a series of questions about the Michigan  
11           natural features inventory, which was tab M in the Exhibit  
12           6-D, and specifically about the wooded dune and swale  
13           complex at the mouth of the Salmon Trout River. Do you  
14           recall testifying about that?

15      A     Yes.

16      Q     If you know, sir, how far is the mouth of the Salmon Trout  
17           River from the site of the proposed mine?

18      A     I couldn't tell you exactly.

19      Q     Well, let me ask you this. Do you have any reason to  
20           believe that the -- you've testified -- you commented on the  
21           proposed mine; correct?

22      A     Yeah. I commented on concerns that related to it, yes.

23      Q     Okay. Is it your -- it's not your testimony, sir, that what  
24           is proposed in the mining permit application or in the  
25           permit that has been issued to date by the DEQ would

1 authorize any dredging, draining or other physical  
2 alteration of the wetlands in the dune, swale complex at the  
3 mouth of the Salmon Trout River?

4 A I have no knowledge of any such proposal or its existence or  
5 not.

6 Q You also testified on direct examination about, in response  
7 to a question about rare and unusual mollusks. Do you  
8 recall that line of questioning?

9 A Uh-huh (affirmative).

10 Q And you indicated that you had -- or you had some knowledge  
11 mollusks had been detected. What I was unclear and I would  
12 ask you to clarify for the record is where were these  
13 mollusks -- where an unusual mollusk species detected.

14 A Actually some of the most unusual species are terrestrial  
15 that have been documented there on club lands are  
16 terrestrial ones, land snails. But also in several of the  
17 lakes there's still a somewhat mysterious occurrence in  
18 Rush Lake, for instance, of a type of mollusk which is still  
19 unclear exactly what. It's another example of a distinct  
20 type, but its taxonomic is unclear but mostly in the lakes  
21 and some terrestrial mollusks.

22 Q You were also asked on direct examination, sir, to explain  
23 the nature of your concerns about potential effects -- or  
24 hypothetical effects, I should say, of the proposed mine on  
25 the area in the Huron Mountain Club as a reference area;

1                   correct?

2     A       Yes.

3     Q       And you were -- you indicated as my notes reflect that if  
4                   deposits of some substances -- it was unclear which -- but  
5                   if some substances occurred onto the Huron Mountain Club  
6                   property that that would raise concerns for you about the  
7                   continuing use of that area as a reference area; correct?

8     A       The substances of most concern to terrestrial ecosystem  
9                   would be quite specifically materials that acidify  
10                  groundwater or heavy metals. And it's well established that  
11                  deposition of those do change ecosystem dynamics,  
12                  groundwater chemistry and, therefore, the growth and health  
13                  of the plant communities. So should such things -- should  
14                  such deposition be significantly elevated above background  
15                  level, there is a risk that there would be a degradation of  
16                  the reference ecosystem value for research, yes.

17    Q       Again, you have not undertaken or been asked to undertake an  
18                  evaluation of whether such deposits of metals or -- sir,  
19                  what was the other thing you said?

20    A       Acids.

21    Q       -- acids -- you have not been asked to undertake whether in  
22                  fact such deposits of acids or metals will in fact occur as  
23                  a result of the proposed mine activity?

24    A       That's correct.

25    Q       And you have no evidence that in fact they will occur if

this mine is permitted, do you?

A I have no evidence one way or the other, that I'm personally going to give.

MR. REICHEL: Nothing further. Thank you, sir.

JUDGE PATTERSON: Redirect?

MR. DYKEMA: A few questions, your Honor.

## REDIRECT EXAMINATION

BY MR. DYKEMA:

Q Dr. Woods, Mr. Predko showed you some pictures of the Yellow Dog Plains and at least in the foreground of the photographs the ground was largely treeless. You responded in part by noting that the Yellow Dog Plains have never been like the Huron Mountains but they are instead a -- what you called a fire ecosystem. Can you explain to the Court what a fire ecosystem is?

A Oh, sure. It's a -- there are forest types throughout the continent that are -- that develop as they have developed because they -- because fire's a historical natural presence on the landscape, and so the symbolage (\*3:37:20) of species that are present, the dynamics of the ecosystems that are there have evolved in that context. The Yellow Dog Plains is a very dry sandy soil type, extremely well drained as the soil scientists say. And as a consequence it's prone to in hot, dry periods to fire and the forests that occupied that area prior to settlement that the surveyors noted were

1 primarily jackpine mixed with some other species, Red Pine  
2 and other species in some areas, but a large extensive Jack  
3 Pine which is an entirely fire dependent species. It can  
4 only survive where there's fairly regular fire.

5 Q At what temperatures will a Jack Pine seed germinate?

6 A It's the shedding of seeds that's temperature related. The  
7 cones of Jack Pines are -- the term, the technical term is  
8 serotinous. It just means that they stay closed until  
9 sufficient heat to melt the resins of the cone allows the  
10 scales to open and the seeds to be shed and blown around by  
11 the wind. Typically that happens during and immediately  
12 following a fire. Sometimes on a very hot day they'll get  
13 hot enough to open. And it varies. Some Jack Pines are  
14 more inclined to open than others, but --

15 Q So how -- the photographs that Mr. Predko showed you of the  
16 relatively treeless Yellow Dog Plains are at least pieces of  
17 relatively treeless Yellow Dog Plains; is it likely that a  
18 time traveler would have seen very similar photographs  
19 periodically over the last 10,000 years?

20 A Certainly --

21 MR. PREDKO: Objection, your Honor; speculation.  
22 How can Mr. Woods testify to -- as what a time traveler  
23 would have seen?

24 MR. DYKEMA: Well, I'll lay more of a foundation,  
25 your Honor.

1 JUDGE PATTERSON: Okay.

2 Q I believe you just testified that the predominant tree in  
3 the Yellow Dog Plains pre-human settlement is Jack Pine.

4 A According to the survey records, yeah.

5 Q In your opinion is that likely to have been the case since  
6 glaciation?

7 A There's actually a very extensive body of Paleo-ecological  
8 research that's been done on the Yellow Dog Plains by Linda  
9 Brubaker and Margaret Davis who have shown the change in  
10 species -- the species composition of that area over the  
11 entire 10,000 years since glaciation. And during the  
12 coolest, moistest parts of that period other species have  
13 been more abundant, but during the majority of that time  
14 it's been predominantly occupied by the pines that are fire  
15 co-dependent.

16 Q So during those periods when it was dry and when the Jack  
17 Pines and similar trees dominated, --

18 A Yes.

19 Q -- do we know with a reasonable degree of scientific  
20 certainty that the Yellow Dog Plains were frequently burnt  
21 and treeless?

22 A There would -- yes, in any Jack Pine system there was  
23 periods after fire when they would be treeless for a period  
24 of several years.

25 Q Now, Mr. Predko also noted Aldo Leopold's somewhat

1 depressing commentary on the headwaters of the Salmon Trout  
2 in 1938. Can you offer the Court an opinion as to -- or a  
3 description of the studies that have been done of the lower  
4 Salmon Trout River in recent years and what they tell us  
5 about the biological richness and intactness of that river?

6 A They document a great deal of richness. They document a  
7 species assemblage that is largely consistent with the  
8 earliest records we have of the fish communities, aquatic  
9 communities of the stream which are approximately 70 years  
10 old at this point. That's the best measure of intactness  
11 that I can offer.

12 Q Mr. Predko also looked with you at a map and he pointed out  
13 something on the Salmon Trout River that's identified as the  
14 Lower Dam. Do you recall that?

15 A Yes.

16 Q Is that a functioning dam?

17 A I don't believe so. I'm not intimately familiar with it,  
18 but it doesn't look functioning to me.

19 Q The water's flowing right through it?

20 A Yeah.

21 Q And he also identified something on the map that's called  
22 the Burnt Dam. Do you remember that?

23 A Yes.

24 Q Is that a functioning dam?

25 A I've never been to it.

1 Q Do you have any reason -- any understanding as to why it's  
2 called the Burnt Dam?

3 A Presumably it might have been burnt, but I don't know.

4 Q Do you agree with Mr. Predko that the lower falls on the  
5 Salmon Trout mark the upstream limit of the range of the  
6 Coaster Brook Trout?

7 A I have no direct knowledge of that. I understand that  
8 upstream migrating fishes are typically limited by falls and  
9 dams, but -- and I have no knowledge of occurrence of the  
10 Coasters beyond that, but I have no knowledge of --  
11 particular knowledge of their presence or absence at all.

12 Q If the waters of the Salmon Trout were acidified or  
13 contaminated with heavy metals, the consequences of that  
14 contamination would flow downstream not upstream; right?

15 A Presumably.

16 Q Mr. Predko also asked you about the treatment and the ATBI  
17 of the fish known of the mikush geronicus. Can you explain  
18 what that fish is and why it's treated the way it's treated?

19 A This is the Rush Lake trout I believe you're referring to;  
20 right?

21 Q Yes.

22 A Yeah. Lake trout have a complex structure in a number of  
23 lakes in North America in Lake Superior and some of the  
24 large lakes of Northern Canada. There are multiple forms --  
25 morphs as we call it -- of lake trouts that seem to be

1           ecologically differentiated. Some inhabit deeper water,  
2           some shallower water and there may be other patterns of  
3           differentiation -- ecological differentiation that are  
4           poorly understood. Rush Lake is odd in that being the only  
5           small lake where such a polymorphate population is known to  
6           occur. It's odd because it's also very deep, so that may be  
7           related to it. But the genetic relationships among these  
8           morphs of lake trout are very poorly understood. And in  
9           fact, they're an object of current study by some researchers  
10          from the Great Lakes Fishery Commission because they're  
11          interested in managing the remaining diversity of lake trout  
12          morphs in lake Superior. Most of them have gone extinct  
13          since the arrival of the lamprey. And so those researchers  
14          have been a been over the last couple of years, in fact,  
15          working in Lake -- in Rush Lake. Part of the objective of  
16          that study is to assess the genetic distinctness of this  
17          entity which has been variably -- the way taxonomic  
18          authority works is that peer reviewed publication of a name  
19          for a genetically distinct entity is the sort of the gold  
20          standard, but there are many ambiguous situations especially  
21          where the genetics -- modern genetics have not been brought  
22          to bear on the situation and this is one of them.

23          Q        You mentioned in response to a question by Mr. Reichel the  
24          use by some people as the lake -- the water of Mountain Lake  
25          as a baseline reference. Do you recall that?

1 A Yeah.

2 Q Can you explain to the Court what you were referring to?

3 A Yes, it's anecdotal. I encountered some people from the  
4 State -- one of the State agencies doing water samples there  
5 one time and that's what they told me.

6 Q And why was the water of Mountain Lake of use to them  
7 according to them?

8 A Because they regard it as the least -- regarded it as some  
9 of the least contaminated waters in the region. Again, what  
10 they told me on the side; they had their mobile lab there  
11 and their Teflon moon suits sampling.

12 Q Mr. Reichel also noted that there is mercury present in the  
13 region generally?

14 A Yes.

15 Q Would you be concerned if a consequence of the operation of  
16 this mine were to increase the levels of mercury in the  
17 lands and waters?

18 A Certainly all of these things, the consequences of any of  
19 these pollutants and especially things like heavy metals is  
20 entirely concentration dependent in any ecosystem. So if  
21 there were increases over existing levels, that would have  
22 expected effects on ecosystem function.

23 Q Mr. Reichel also asked you how far the mouth of the Salmon  
24 Trout is from the mine site. If the operation of the mine  
25 or the collapse of the mine were the result in a significant

1 reduction in the water flow in the Salmon Trout, would that  
2 likely have an adverse impact on the biological richness of  
3 the dune and swale complex at the river complex at the  
4 river's mouth?

5 A Very likely, because the wetlands and -- the swale wetlands  
6 are a consequence of -- are maintained hydrologically as a  
7 consequence of the rising and lowering river flows  
8 interacting with the lake water in terms of their backing  
9 into the swamps and so forth. So a lower -- generally  
10 lowered flow of the river would -- probably would be -- it  
11 would be -- it could be anticipated that it would have  
12 consequences, particularly for the wetland part of that  
13 system.

14 Q And if sulphur -- acid causing contaminants or heavy metals  
15 were to flow downstream through the Salmon Trout or be  
16 deposited directly through the air on the dune and swale  
17 complex, would that likely have an adverse impact on the  
18 biological value of the area?

19 A Absolutely.

20 MR. PREDKO: Objection, your Honor. No  
21 foundation, calls for speculation; it's a leading question.

22 MR. DYKEMA: I'll lay a foundation, your Honor.

23 JUDGE PATTERSON: All right.

24 Q Do you have any basis for opining as to whether the  
25 biological richness of the dune and swale complex would

1 likely be compromised if the waters of the Salmon Trout  
2 flowing through the complex were contaminated either by acid  
3 causing materials or heavy metals?

4 A Ecosystem acidification is probably one of the most strongly  
5 established generic threats to ecosystem diversity and  
6 function in North America. It's very well studied in a wide  
7 range of aquatic and terrestrial ecosystems. So  
8 acidification of water input to any ecosystem beyond  
9 substantial increases in acidity would have -- would  
10 generate cause for concern about degradation of the  
11 ecosystem. Heavy metals are a more complicated story and I  
12 don't know as much about them, to be honest, but I would  
13 have to -- from what I do know I would be concerned about  
14 any increase in concentrations because they are generally  
15 toxic.

16 MR. DYKEMA: Thank you, Dr. Woods. No further  
17 questions, your Honor.

18 JUDGE PATTERSON: Any other questions?

19 MR. PREDKO: Just a couple, your Honor.

20 JUDGE PATTERSON: Okay.

21 RECROSS-EXAMINATION

22 BY MR. PREDKO:

23 Q Dr. Woods, you just said a few things about the flow of the  
24 river and effects; correct?

25 A Uh-huh (affirmative).

1 Q Now, I take it you are not a hydrologist; correct?

2 A Not myself; no.

3 Q It's not your specialty; correct?

4 A That's correct.

5 Q And so you do not have an expert opinion on the effect of

6 the proposed mine on the flow of the river; correct?

7 A I have no opinion on the effect of the mine on the flow of

8 the river. I have understandings from research reports and

9 colleagues as to the effect of hydrology on these systems.

10 Those are two separate things.

11 Q Fair enough. And so you are relying solely on the expertise

12 of others in making that statement; right?

13 A Others whose work I have as director of the Research

14 Foundation sent propose -- their research proposals to peer

15 reviewers in hydrological fields, so it's not simply that

16 I'm reading their claims about these systems without other

17 expertise coming into the picture. So that in fact is one

18 of the things I do as research director is send proposals to

19 peer reviewers in those areas.

20 Q You have no independent expert opinion regarding the

21 hydrology that's going to be affected or not affected by the

22 mine site; correct?

23 A I do not.

24 MR. PREDKO: I don't have anything else. Thank

25 you.

1 MR. REICHEL: I have nothing further.

2 JUDGE PATTERSON: Thank you, Doctor.

3 (Witness excused)

4 MR. DYKEMA: Your Honor, we do not have another  
5 witness for today, so --

6 JUDGE PATTERSON: Okay.

7 MR. DYKEMA: We'll get an early break.

8 JUDGE PATTERSON: Okay. Tomorrow at 8:30.

9 (Hearing adjourned at 3:51 p.m.)

10  
11 -0-0-0-

12

13

14

15

16

17

18

19

20

21

22

23

24

25