

1 STATE OF MICHIGAN

2 STATE OFFICE OF ADMINISTRATIVE HEARINGS AND RULES

3 In the matter of: File Nos.: GW1810162 and  
MP 01 2007  
4 The Petitions of the Keweenaw  
Bay Indian Community, Huron Part: 31, Groundwater  
5 Mountain Club, National Discharge  
Wildlife Federation, and 632, Nonferrous  
6 Yellow Dog Watershed Metallic  
Environmental Preserve, Inc., Mineral Mining  
7 on permits issued to Kennecott  
Eagle Minerals Company. Agency: Department of  
8 \_\_\_\_\_/ Environmental  
Quality  
9 Case Type: Water Bureau  
10 and Office of  
11 Geological  
Survey

12 D R A F T T R A N S C R I P T

13 HEARING - VOLUME NO. XXII (22)

14 BEFORE RICHARD A. PATTERSON, ADMINISTRATIVE LAW JUDGE

15 Constitution Hall, 525 West Allegan, Lansing, Michigan

16 Friday, May 30, 2008, 10:00 a.m.

17 APPEARANCES:

18  
19 For the Petitioner MR. ERIC J. EGGAN (P32368)  
20 Keweenaw Bay Indian Honigman Miller Schwartz and Cohn LLP  
Community: 222 North Washington Square, Suite 400  
21 Lansing, Michigan 48933-1800  
(517) 377-0726  
22  
23  
24  
25

1 For the Petitioner MR. BRUCE T. WALLACE (P24148)  
Huron Mountain Club: Hooper Hathaway Price Beuche & Wallace  
2 126 S. Main Street  
Ann Arbor, Michigan 48104-1945  
3 (734) 662-4426

4 For the Petitioners JEFFREY K. HAYNES (P25140)  
Yellow Dog Watershed Beier Howlett, PC  
5 Preserve and National 200 E. Long Lake Road, Ste. 110  
Wildlife Federation: Bloomfield Hills, Michigan 48304  
6 (248) 645-9400  
and  
7 F. MICHELLE HALLEY (P62637)  
National Wildlife Federation  
8 PO Box 914  
Marquette, Michigan 49855  
9 (906) 361-0520

10 For the Respondent ROBERT P. REICHEL (P31878)  
Michigan Department of Assistant Attorney General  
11 Environmental Quality: Environment, Natural Resources and  
Agriculture Division  
12 6th Floor, Williams Building  
525 West Ottawa Street, PO Box 30755  
13 Lansing, Michigan 48909  
(517) 373-7540

14 For the Intervenor CHRISTOPHER J. PREDKO (P56040)  
15 Kennecott Eagle SARAH CATHERINE LINDSEY (P68544)  
Minerals Company: Warner Norcross & Judd LLP  
16 2000 Town Center, Suite 2700  
Southfield, Michigan 48075  
17 (248) 784-5000

18

19 RECORDED BY: Marcy A. Klingshirn, CER 6924  
20 Certified Electronic Recorder  
Network Reporting Corporation  
21 1-800-632-2720  
22  
23  
24  
25

TABLE OF CONTENTS

PAGE

WITNESS: INTERVENOR

DAVID M. STONE, PH.D. (via telephone)

Cross-Examination by Ms. Halley . . . . .	4548
Cross-Examination by Mr. Wallace. . . . .	4586
Redirect Examination by Ms. Lindsey . . . . .	4600
Cross-Examination by Mr. Reichel. . . . .	4606
Recross-Examination by Ms. Halley . . . . .	4611

NOTE: Page numbers may change on final transcript.

1                   Lansing, Michigan

2                   Friday, May 30, 2008 - 10:03 a.m.

3                   MS. LINDSEY: Just for the record this is the  
4 cross-examination of Dr. Stone that we agreed to continue.  
5 And I'll just ask the attorneys who going to do the cross to  
6 identify themselves for you.

7                   MS. HALLEY: Good morning, Dr. Stone. This is  
8 Michelle Halley with the National Wildlife Federation and  
9 the Yellow Dog Watershed Preserve.

10                  MR. WALLACE: Bruce Wallace for Huron Mountain  
11 Club.

12                  MS. LINDSEY: Can you -- you can hear us?

13                  MR. STONE: Yeah, I can hear -- I can hear just  
14 fine.

15                  MS. LINDSEY: All right. Thanks.

16                  MS. HALLEY: Okay. We'll try not to keep you too  
17 long this morning, Dr. Stone. And thank you for joining us  
18 by telephone.

19                                 DAVID M. STONE, PH.D.

20                                 having been previously called and sworn:

21   CROSS-EXAMINATION

22 BY MS. HALLEY:

23 Q I'm wondering when you started working this project. When  
24 were you first asked to consult on this project?

25 A That would have been about a year and a half ago.

1 Q And what were you asked to do?

2 A I was asked to review the mix design for the backfill and to  
3 do the first round of laboratory testing to confirm that we  
4 could achieve the strengths that were required with the mix  
5 design.

6 Q So have you actually done benchmark testing of samples of  
7 backfill?

8 A Yes, we have.

9 Q And I believe you said you have a lab in Seattle. Is that  
10 where you did those tests?

11 A That's correct.

12 Q Okay. Now, I think maybe you testified about those when you  
13 were here, but you've read the backfill plan and the  
14 relevant portions of the mining permit application and the  
15 permit?

16 A Yes, I have.

17 Q Okay. Now, let me back up for just a second. Were you  
18 involved in developing the backfill plan for this project or  
19 did you come in after the plan was already developed?

20 A A combination of both. The initial backfill plan with  
21 respect to the primary and the secondaries and initial mix  
22 design and the strength requirements and all of that were  
23 already completed before I became involved with the project.  
24 The only step that I got involved in that advanced it  
25 further was doing the actual layout of the actual backfill

1 plant itself, so specifying the equipment and the physical  
2 layout of the equipment; you know, which equipment is on the  
3 surface, which equipment is underground; how we were going  
4 to mix it. So everything to do with the actual backfill  
5 plant itself. Once the backfill left the backfill plant  
6 that was someone else's responsibility.

7 Q Thank you. Whose responsibility was it?

8 A I couldn't tell you. I mean, it would have either been  
9 Golder or McIntosh. I don't know which.

10 Q Now, Dr. Stone, the permit; you said you read the permit.  
11 Does it actually include any strength requirement for the  
12 backfill?

13 A No, not that I'm aware.

14 Q Now, could you just -- you testified at some length about  
15 this when you were here, but could you give us a short  
16 refresher on the purpose of the backfill?

17 A Well, the main purpose of the backfill is to provide ground  
18 support to provide the safe extraction of the ore during the  
19 operation of the mine, and then it does play a secondary  
20 role in terms of providing the short-term and long-term  
21 support to the crown pillar.

22 Q Okay. Now, Dr. Stone, I think you testified a little bit  
23 about a paper that you wrote. It was published I believe in  
24 MineFill's 2007 proceeding report and it's called, "Factors  
25 That Affect Cemented Rockfill Quality in Nevada Mines"?

1 A Yeah, that's correct. Yes.

2 Q Okay. Now, you pointed out differences in mining techniques  
3 between what's going on in Nevada and the proposed Eagle,  
4 but I wonder if the things that you discuss in this paper  
5 are sort of generally known to be things that should be  
6 taken into account when one is designing and implementing  
7 backfill plans.

8 A Yeah, in general most of the issues that I raise in that  
9 paper would apply to any mine that's using backfill. And,  
10 you know, there are some issues that somewhat specific to  
11 Nevada and somewhat specific to the mines that are -- that  
12 I'm using as the examples in that paper. But in general,  
13 you know, the concepts that are in there that are discussed  
14 or the key concepts have application to pretty well any mine  
15 that uses backfill. The one big difference that we talked  
16 about when I testified earlier was the fact that the mines  
17 that I'm using as examples in there -- in Nevada are all  
18 underhand cut-and-fill mines and, therefore, they have a  
19 much, much higher strength requirement than what would be  
20 necessary at Eagle.

21 Q Necessary for the safety of the workers, you mean?

22 A Well, necessary for the safety of workers, number one; but  
23 also necessary in terms of preventing what you might call,  
24 you know, a bulk collapse in the backfill which would, you  
25 know, cause massive ore dilution in the stope being

1           extracted.

2           Q     But at the end of the day, both types of mines have -- leave  
3           a big cavity underneath the surface of the Earth and if the  
4           point of the backfill is to support any crown pillar that's  
5           left, why would that -- why would those two scenarios then  
6           require different strength requirements?

7           A     Because the underhand cut-and-fill mining is what we call in  
8           industry -- it's an entry form of mining. And what I mean  
9           there is that you have workers standing underneath the  
10          backfill. Whereas, in the Eagle concept generally that type  
11          of mining is what you would call a non-entry type of mining,  
12          which means that you don't have people standing in the stope  
13          while it's being excavated; you're using remote-controlled  
14          equipment to muck the ore out, so if you do have a rock fall  
15          you don't put people at risk. If you have a -- if you have  
16          a small failure in the backfill or a piece of backfill  
17          fallout and it lands on a piece of equipment, you're not  
18          putting people's lives at risk.

19          Q     Right. I think -- let me rephrase my question. I  
20          understand those differences and that makes sense to me, but  
21          I'm still struggling with this notion that somehow the  
22          backfill strength requirements at Eagle are far lower than  
23          what you suggest in your paper. Setting the worker safety  
24          issue aside and looking at those two scenarios where you  
25          have a big cavity underneath the ground and you want to



1 support the crown pillar post mining, how are those  
2 scenarios any different? Why would one require a greater  
3 strength than the other if the goal is crown pillar support?  
4 Let's just talk about crown pillar support right now and not  
5 worker safety.

6 A Well, the irony of the backfilling scenario is that the vast  
7 majority of support that comes from backfill has nothing to  
8 do with the strength; it comes from filling a void. And  
9 there are a lot of mines around the world that use 100  
10 percent uncemented backfill because, you know, once you fill  
11 that void the backfill is largely incompressible. And so  
12 it's a bit of a misnomer to tie the strength requirement to  
13 what's required to support the crown pillar. That's not  
14 where the strength requirement comes from. The strength  
15 requirement comes from preventing dilution when you're  
16 mining the secondaries and preventing that backfill from  
17 failing into the secondaries while you're extracting the  
18 ore. You're prevent -- you're trying to hold that backfill  
19 in place. That's where the strength requirement comes from  
20 and that may be why you're -- may be why it's not quite so  
21 obvious as to why the strength has to be so much higher when  
22 you're mining underneath the backfill.

23 If I can maybe draw like a simple analogy and  
24 maybe this won't make any sense, but, you know, when you go  
25 down to the beach and you see, you know, sand banks -- you

1 know, you can see vertical banks of sand sitting there  
2 holding themselves up just fine with no cement in it. It's  
3 just, you know, normal beach sand sitting there and it's a  
4 physical property of that media that it's able to support  
5 itself. But, you know, if you were to take out your bucket  
6 and shovel and tunnel into that sand your parents would come  
7 kicking and screaming and drag you out, because they would  
8 know that that's not safe, you know. So when you're mining  
9 underneath you have a much, much higher strength requirement  
10 for safety purposes.

11 Q In your Nevada paper, Dr. Stone, do you suggest a target  
12 strength of 4.8 megapascals or 700 psi?

13 A For underhand cut-and-fill mining, yes.

14 Q And at the Eagle isn't the MPA 1.5 or about 218 psi?

15 A Yeah; that's correct.

16 Q Okay. Thank you. Now, I want to talk about some of the  
17 factors you outline in your paper, the same paper. I'm  
18 assuming you have it or have a good recollection of that  
19 paper?

20 A I'm very familiar with it, yes.

21 Q Okay. Good. Now, you know, when I started looking at this  
22 it seems to me that cemented rockfill is a fairly complex  
23 type of substance and there are a lot of factors that are  
24 considered. Now, one of those is aggregate; the aggregate  
25 that's to be used in the cemented backfill; is that true?

1 A That's correct.

2 Q Okay. Now, do you have any idea where the aggregate that's  
3 to be used in the cemented Eagle is to come from?

4 A In general terms, yes.

5 Q Could you describe those general terms?

6 A My understanding is it's coming from a preexisting concrete  
7 aggregate quarry located about 35 miles from the mine site.

8 Q And have you actually seen any of the aggregate from that  
9 quarry?

10 A Yes, I have. Yeah.

11 Q Okay. Do you know what the end value -- otherwise, known as  
12 the distribution constant -- is for that aggregate?

13 A Well, the end value is something that we manufacture, so in  
14 this case the -- I'm going to think now. You're stretching  
15 my memory here. As we describe in the paper, you know,  
16 normally in cemented rockfill the -- concrete aggregate  
17 specifications are based on an end value of .5, and then as  
18 it shows in that paper in cemented rockfill we actually play  
19 with that end value a little bit in order to get some of the  
20 properties that we want out of that -- out of that -- out of  
21 the cemented backfill mix. And one of the things that we do  
22 is we lower the end value below .5 in order to get a  
23 backfill that will flow easily as opposed to rolling when  
24 you tip it into the stope. So --

25 Q So my question is, given the aggregate that's to be used

1           there, have you determined what the end value would be to  
2           accomplish flow ability?

3       A     But it's not done in that manner.  We manufacture the end  
4           value.  I don't care what the end value is for the aggregate  
5           coming out of the -- out of the quarry; because what we will  
6           do is we will crush and screen that product in order to  
7           produce an aggregate grading that we want irrespective of  
8           what comes out of the quarry.  So it's -- for us it's a  
9           manufactured product and that part of the backfill design  
10          has not really -- well, it was evaluated in the testing that  
11          I did.  We looked at four different scenarios for four  
12          different gradings of aggregate and then recommended to  
13          Kennecott what we thought was the best grading, which was a  
14          -- I believe was a 65/35 course to fine split.  But I  
15          couldn't tell you what the end value was on that.  I've  
16          never plotted it out.

17       Q     So you don't know?

18       A     I don't know.

19       Q     Okay.  Now, isn't the top size of the aggregate very  
20           important as well?

21       A     Yes; absolutely.  Yeah.

22       Q     And do you know what the top size of the aggregate coming in  
23           would be?

24       A     The aggregate coming in?  I couldn't tell you, but just  
25           based on my experience from what I've seen elsewhere, I

1 mean, it -- well, I don't know. I don't know what it would  
2 be.

3 Q Okay. Now, is the mechanical strength of the aggregate an  
4 important factor to consider?

5 A Yes.

6 Q Have you done UCS testing on the aggregate?

7 A No.

8 Q Is it important to know the durability of the aggregate?  
9 And my understanding is that it's the Los Angeles Abrasion  
10 Index Test that is generally used for that test?

11 A That's correct.

12 Q And has that test been performed on this aggregate?

13 A Yes, it has.

14 Q And what's the value?

15 A I believe it was around 18 or 19.

16 Q 18 or 19?

17 A Yes. That's my best recollection. I haven't read my report  
18 in a while, so -- do you want me to look it up?

19 Q If you need to, but if you remember 18 or 19, that's okay  
20 too.

21 A I'll look it up real quick.

22 (Witness reviews file)

23 Q Dr. Stone, may I ask you what report you're looking at?

24 A I'm looking at the laboratory report. Yeah, it was 19.2.  
25 I'm looking at the laboratory report that we provided to

1 Kennecott.

2 MS. HALLEY: Ms. Lindsey, has that been entered as  
3 an exhibit? Is it a part of the application?

4 MS. LINDSEY: This is not, no. This is -- if I  
5 may. Dr. Stone, is -- can you tell us a little bit about  
6 this lab report?

7 THE WITNESS: This report was conducted at the  
8 request of Kennecott in order to evaluate the strength of  
9 the proposed (COUNSEL REVIEWS FILE) mixes to make sure that  
10 the aggregate was suitable and that we could achieve the  
11 strength that they required at -- with the mixes that Golder  
12 had proposed.

13 MS. LINDSEY: No, this was not, to my  
14 understanding, part of the permit application and it has not  
15 been produced in this case.

16 MS. HALLEY: Has it been given to the DEQ?

17 MS. LINDSEY: Dr. Stone, do you -- to your  
18 knowledge, has this been given to the Department of  
19 Environmental Quality?

20 THE WITNESS: I don't believe it has; no. This is  
21 a -- right now this is an internal document between  
22 Kennecott and ourselves.

23 Q Now, Dr. Stone, when talking about backfill and developing  
24 backfill plans, is the water-to-cement ratio an important  
25 part of that consideration?

1 A Yes, it is.

2

3 Q And in the course of your testing have you come up with a  
4 water-to-cement ratio for the backfill at this mine, or a  
5 range probably more likely?

6 A We have recommended a water-to-cement ratio.

7 Q And what is that?

8 A One to one.

9 Q Okay. Do you know the moisture content of the aggregate?

10 A No. We did not measure the moisture content of the  
11 aggregate.

12 Q And do you have any plans for regulating the moisture  
13 content of the aggregate once it's on site?

14 A Yeah, that would have to be a -- that would have to be an  
15 operational consideration.

16 Q Is that described in the application or in the permit, any  
17 requirements about controlling the moisture in the  
18 aggregate, that you're aware of?

19 A No, because it's an operational detail.

20 Q Now, can variations in the water-to-cement ratio impact  
21 backfill strengths?

22 A Yes, they can. Yes.

23 Q And you said that you've developed a ratio of one to one.  
24 Is that set number or is that subject to change depending on  
25 a number of factors?

1 A Well, what we did was we -- when we ran our testing we ran  
2 it at a range of water-to-cement ratios and then we  
3 established what we felt was the optimal water-to-cement  
4 ratio; which, as I indicated, came out to one to one.

5 Q Right. But my question was, will it always be one to one,  
6 or could that change depending on variables at the site?

7 A It absolutely could change. And again, it's one of those --  
8 manipulating the water-to-cement ratio in the backfill,  
9 again, is one of the operational -- one of the operational  
10 things that you will do in order to get the backfill to  
11 perform in different ways for different requirements. But  
12 there's -- the backfill that they use for the type filling  
13 will have a much lower water-to-cement ratio, probably  
14 something around .7 or .8 to 1. The 1-to-1 ratio just  
15 applies to the long -- the bulk filling of the long hole  
16 stopes.

17 Q I see. Are cemented rockfills that are batched with flyash  
18 binders, which is what's planned here from what the  
19 application says, more sensitive to variations in water-to-  
20 cement ratios?

21 A Generally less sensitive.

22 Q Now, is there an ASTM standard for testing the quality of  
23 the flyash binder?

24 A Yes, there is.

25 Q And do you believe it's important to test the flyash binder



1 occasionally?

2 A Yes.

3 Q And is that planned in the application or in the permit at  
4 Eagle?

5 A I don't recall ever seeing that in the permit or in the  
6 application; no. But again, it's -- that's an operational -  
7 - we would view that as an operational issue.

8 Q And would you -- well, never mind. I'm going to skip that.  
9 Do you believe -- I think it's clear from your testimony  
10 before that you believe it's important to monitor the  
11 quality of the backfill; is that true?

12 A Yeah. I mean, as I described before, it's pretty much  
13 essential in order to -- for a variety of reasons.

14 Q And there's an ASTM procedure for doing this; right?

15 A Well, there is an ASTM procedure for doing the strength  
16 testing as I described, and I showed you some photos when I  
17 was there testifying earlier. But I think my paper on the  
18 Nevada fills gets into a little bit more detail in terms of  
19 the other types of testing that would be the normal course  
20 of business of monitoring, you know, all of the components  
21 to the backfill. So you're -- you know, you're monitoring  
22 the aggregate. You're monitoring the water content of the  
23 aggregate. You're monitoring the quality of the cement.  
24 You're monitoring the quality of the flyash. There are  
25 instances where you have to monitor the quality of the water

1           that you use for mixing the backfill.  So there's quite a  
2           broad scope to that program.

3           Q     And conducting the cylinder test that you described; right?

4           A     Yeah.  Yeah.  The biggest component of that monitoring  
5           program is the cylinders and the strength testing that I  
6           described in detail when I was -- when I testified in  
7           person.

8           Q     Right.  And your paper also talks about accumulative sums  
9           plots; that's important too?

10          A     Yeah, and that's -- what that is is a method of seeing  
11          through the fog of all the data.  As you can see in the  
12          paper there, if you do a -- if you just do a straight, you  
13          know, time-versus-data plot you can't see any trends in the  
14          data.  For instance, if you used this so-called Q sums  
15          analysis, accumulative sums analysis, it allows you to see  
16          through that fog and you can distinguish trends.

17          Q     Right.  Now, was any of that discussed in the application or  
18          is it required by the permit, Dr. Stone?

19          A     I don't believe that it's -- I don't believe that it's  
20          mentioned in the application, and I don't believe it's  
21          required by the permit.

22          Q     So you would agree with me that the application and the  
23          permit contain little to no requirements about quality  
24          control of the backfill?

25          A     From what I've seen and what I've read in the permit and the

1 application, yeah.

2 Q Now, is it your opinion that the cemented backfill would be  
3 permeable?

4 A Yes, it would be.

5 Q How permeable do you think? Just for a frame of reference,  
6 the porosity at the -- of the backfill at the Kidd Creek  
7 Mine which you testified about before is about 34 percent.  
8 Do you think that's in the ballpark here?

9 A Yeah, I believe the actual testing that we did on the actual  
10 Eagle materials came out to about 25 percent.

11 Q All right. And what about the uncemented rockfill in the  
12 secondary stopes? Even more permeable; right?

13 A Yeah, probably. Probably. Not a lot more, but it likely  
14 would be a little bit more, yeah.

15 Q And do you believe that at some point the cemented aggregate  
16 fill would be saturated with water when the mine is  
17 reflooded? I'm talking about post closure.

18 A Yeah, if you were -- if you were to reflood the mine post  
19 closure, eventually the rockfill would be flooded.

20 Q Now, we're going to talk about settling and some other  
21 things for a moment here. Dr. Vitton testified that at one  
22 to two percent settling of the backfill would be a  
23 reasonable approach to take here. And Dr. Blake in his  
24 testimony testified that he would certainly expect that in  
25 that range of settlement of the backfill. Do you agree with

1           that? Do you agree with Dr. Blake?

2       A     No. I don't believe that the settlements would be that  
3           much. And the reason that my opinion differs from Dr. Blake  
4           and Dr. Vitton is that they were using settlement of surface  
5           piles of rock as their benchmark of the types of settlements  
6           you can get.

7       Q     Well, Dr. Stone, that's not what Dr. Blake testified to, so  
8           I don't want you to sort of go off down the wrong track on  
9           that. He simply agreed with Dr. Vitton that the settlement  
10          of one to two percent of the backfill -- nothing to do with  
11          the surface; we're talking about the backfill -- he would  
12          certainly expect that to be the case. Do you think Dr.  
13          Blake was wrong?

14      A     Are we talking about the uncemented fill or the cemented  
15          filled here?

16      Q     No, we're talking about the cemented backfill.

17      A     Well, I can tell you from my 30 years of consulting  
18          experience I have never, ever seen a mine that experienced  
19          anywhere near those types of settlements in a cemented fill.  
20          It's inconceivable.

21      Q     So you think Dr. Stone is wrong?

22      A     Dr. Blake is wrong.

23      Q     Oh, I'm sorry. Right. I apologize for that. Dr. Blake.  
24          Okay. Now, --

25      A     I absolutely believe he's wrong, ma'am.

1 Q Okay. Dr. Blake also testified that -- he also testified  
2 that he has "not seen that done with cemented rockfill" and  
3 that that in that instance we were talking about was a tight  
4 backfill. He said, "I have not seen that done with cemented  
5 rockfill." Is he wrong on that count too?

6 MS. LINDSEY: I'm going to object. I don't know  
7 if he can testify as to what Dr. Blake has seen, so I guess  
8 --

9 MS. HALLEY: Well, that's what Dr. Blake said.

10 MS. LINDSEY: I don't think that Dr. Stone can  
11 testify as to what Dr. Blake has seen. I guess what you  
12 could ask him, I suppose, is whether Dr. Stone has seen it  
13 done.

14 MS. HALLEY: No, I'm asking him if he disagrees  
15 with Dr. Blake's view that he clearly doesn't believe that  
16 this can be done with cemented rockfill.

17 MS. LINDSEY: Well, and I guess I'm objecting to  
18 it. It sounds like a mischaracterization of Dr. Blake's  
19 testimony. Did he say he hasn't seen it done, or he doesn't  
20 believe it can be done? Which I think are two different  
21 things. So you can ask him the question, but --

22 Q Okay. Let's try again, Dr. Stone. Dr. Blake in response to  
23 being asked about the viability of having tight backfill  
24 said, "I have not seen that done with cemented rockfill."  
25 Do you believe that Dr. Blake's point of view is wrong?

1 A I don't understand the question. How can I -- how can I  
2 question what Dr. Blake has seen? Now, are you asking me if  
3 it's possible to tight fill?

4 Q No, I'm asking you if you disagree with Dr. Stone's -- sorry  
5 -- Dr. Blake's opinion that this is not something he's seen  
6 done with cemented rockfill?

7 A He wasn't expressing an opinion. He said he's never seen  
8 it.

9 Q Do you agree or disagree?

10 A Again, the question doesn't make any sense. He wasn't  
11 stating an opinion; he was stating a fact that he's never  
12 seen it.

13 Q Okay. Even if Eagle can accomplish the tight backfill that  
14 we've discussed, does that resolve necessarily the questions  
15 about the hydraulic stability of the crown pillar?

16 A The hydraulic stability?

17 Q Yes. Whether or not water would be moving through the crown  
18 pillar. It's true that even if there's tight backfill, it  
19 doesn't necessarily mean that water won't be moving through  
20 the crown pillar; isn't that true?

21 A I would agree with that, yeah.

22 Q Now, Dr. Blake also agreed with an assessment that -- well,  
23 he didn't -- he made the observation that the comments on  
24 the proposed mine by Dr. Vitton, Mr. Parker and Dr.  
25 Bjornerud raised, that their concerns are legitimate. And

1           those are his words.  And I'm wondering if you disagree or  
2           agree with Dr. Blake on that count.  I believe you've had  
3           occasion to read Vitton, Parker and Bjornerud's reports;  
4           right?

5       A     Could you refresh my memory as to what concerns he was  
6           referring to?

7       Q     Well, what I'm -- I guess we need to back up.  Have you read  
8           Dr. Vitton's, Mr. Parker's and Dr. Bjornerud's reports?

9       A     Yes, I have.  Yeah.

10      Q     Okay.  Now, Dr. Blake agreed that they raised legitimate  
11           concerns in their reports.  Do you agree or disagree with  
12           Dr. Blake?

13      A     Your question is too vague for me to answer.  If you can --  
14           if you can give me something specific I'm more than willing  
15           to express my view, but that's too vague.

16      Q     Well, the reports that Dr. Blake referred to were the  
17           reports that were submitted by Vitton, Parker and Bjornerud  
18           on October 17th of 2007, comments that apparently you've  
19           read that the DEQ has had since October; those reports.  I  
20           mean, I'm talking about the reports.  Dr. Blake said that  
21           the concerns raised in those reports are legitimate.  Do you  
22           agree or disagree with Dr. Blake?

23      A     My recollection of reading those reports is that there's a  
24           number of different issues -- some connected, some  
25           disconnected -- in there and I can't make a -- I can't make

1 a simple assessment like that. So I can't comment.

2 Q All right. Dr. Blake also said in his testimony that,  
3 "There must have been some calculation done to suggest that  
4 the height of this backfill would be stable and that it  
5 would resist the effects of blasting." Now, particularly on  
6 the second part of that comment that "the backfill would  
7 resist the effects of blasting," he's assuming that there  
8 must be some calculations. Have you seen or done those  
9 calculations?

10 A I have reviewed the Golder calculations, yes.

11 Q But do they specifically address the effects of blasting?

12 A The normal --

13 Q Before you go off and explain it, can you just say "yes" or  
14 "no" so that I understand your answer very clearly?

15 A Sure. Can you repeat the question again?

16 Q Sure. Dr. Blake said in his testimony, "There must have  
17 been some calculation done to suggest that the height of  
18 this backfill would be stable and that it would resist the  
19 effects of blasting." Now, we've already heard from, I  
20 believe, Mr. Beauchamp about his calculations about  
21 stability. What I'm wondering though is whether or not  
22 those calculations took into account the effects of  
23 blasting. Have you seen or done these calculations that Dr.  
24 Blake feels must have been done in order -- for this  
25 project? Have you seen them or have you done them?



1 A Well, I -- let me think about this for a minute because it's  
2 not a simple "yes" or a "no."

3 Q I'm asking if you've seen or done calculations that take  
4 into account the effects of blasting.

5 MS. LINDSEY: And he's -- I think this is not a  
6 "yes" or "no" question. He's explained that this is a  
7 complicated -- and if you want him to explain; otherwise, I  
8 think the question is too vague.

9 MS. HALLEY: We're talking about calculations that  
10 do or do not take into account the effects of blasting.

11 A Well, the issue is that there is no specific calculation  
12 that is carried out by the engineers to make the backfill  
13 blast resistant. It's not a -- it's not a formula or a  
14 specific calculation; it's more a -- the application of  
15 concepts and principles to ensure that the material is blast  
16 resistant. And in that regard I have reviewed the Golder  
17 assumptions and the Golder calculations for the strength of  
18 the fill and by applying an appropriate factor of safety on  
19 that -- on those calculations they inherently make the  
20 material blast resistant. So that's why --

21 Q Do they anywhere in that analysis specifically address the  
22 effects of blasting?

23 A Well, as I just said, there is no method for doing a  
24 numerical calculation to make backfill blast resistant.  
25 It's a -- it's more of an operational mix design issue that

1 gets it to the point where it's blast resistant. So no,  
2 I've never seen any calculations and I don't know of anybody  
3 that's done any calculations that would ensure the backfill  
4 is blast resistant.

5 Q Is there any particular analysis other than this sort of  
6 generalized factor of safety idea that takes into account  
7 the effects of blasting? Did anybody actually sit down with  
8 a blasting plan and think about this in a disciplined way?  
9 Did anybody sit down with a blasting plan and do that?

10 MS. LINDSEY: To the extent he can answer whether  
11 anybody has, I think it's -- are you asking about what he's  
12 done or --

13 MS. HALLEY: I'm asking him does he know based on  
14 his involvement in the backfill arena.

15 A I don't know. I don't know if anybody has or not.

16 Q Have you?

17 A I have not; no.

18 Q And nobody you know has?

19 A Well, yeah. I haven't done it, and I don't know if anybody  
20 else has.

21 Q Okay. Thank you. Dr. Stone, you testified that -- let's  
22 see here -- that a lot of the big cemented rockfill  
23 operations are slowly -- one by one they're all switching  
24 over to paste. Could you explain why the cemented rockfill  
25 operations are slowly switching over to paste?

1       A     The biggest driver is minimizing the surface footprint from  
2             mining, so by returning as much of the waste material back  
3             underground as backfill.  And prior -- you know, prior to  
4             the introduction of paste, you know, ten, fifteen years ago  
5             there wasn't really another suitable backfill product that  
6             could meet the strength requirements that were required  
7             by -- you know, in cemented rockfill operations.  So that's  
8             number one.  And there is -- there are some cross factors  
9             there as well.  There's some, you know, economic factors.  
10            And also, you know, ease of permitting.  And there are risk  
11            factors with having, you know, tailings stored in surface  
12            impoundments.  So it's a variety of economic and  
13            environmental drivers that are causing that.

14       Q     And do you think it has anything to do with any of the  
15             problems that have been encountered with cemented aggregate  
16             fill?

17       A     Absolutely not.  I mean, it's got nothing -- it's got  
18             nothing to do with a need to replace cemented rockfill.  
19             It's all to do with a need to minimize the surface footprint  
20             from mining by returning the mined out materials back  
21             underground.

22       Q     I see.  Now, Dr. Stone, you testified that the aggregate  
23             would be "pre-screened and pre-proportioned."  Is another  
24             way of saying it that it would be graded; is that what you  
25             mean by that?

1 A Yeah, it'll be crushed and then screened.

2 Q Now, where in the application is any of that discussed?

3 A I don't believe it's in the application. The crushing and  
4 screening part isn't in there, but the fact that the  
5 material is imported is in the application.

6 Q Now, the application also says, I believe, on -- this is DEQ  
7 Exhibit 25, which is page 32. And for your benefit, Dr.  
8 Stone, that is the text of the mining permit application,  
9 which I think Ms. Lindsey said you have there with you. I'm  
10 not going to be reading much from it, so you can probably  
11 just, you know, listen and get what you need. But it --  
12 what it says about the aggregate is that it would be clean  
13 aggregate. But does it describe anything about the size of  
14 the aggregate?

15 A I don't believe so, no.

16 Q Now, you also testified, Dr. Stone, that some degree of  
17 segregation is inevitable. Does dumping this material from  
18 a height of about 100 feet lead to that segregation?

19 A It can, yes.

20 Q The process of the tipping and the dumping. Now, what are  
21 some of the problems that result from segregation?

22 A The main operational issue is dilution; when you mine out  
23 the secondary is having some of the segregated material fall  
24 into the secondary stope and become dilution.

25 Q So are you saying that segregation is the same thing as

1 dilution?

2 A Well, segregation can lead to dilution, so the segregated  
3 material is more prone to falling out when you take out the  
4 secondary.

5 Q I see.

6 A Because it's -- yeah.

7 Q Segregation, can it result in loss of strength or reduction  
8 in strength?

9 A Yes. That's the main concern with segregation, is that it  
10 doesn't have the same strength as the rest of the backfill.

11 Q And literature, in fact, has described severe problems  
12 resulting from segregation; right?

13 A Back in the early days of cemented rockfill, back in the  
14 early days of both Kidd Creek and Mount Isa, back -- they  
15 described having severe segregation problems.

16 Q Okay. Now I have a different question, sort of a different  
17 area. Now, you talked about the stacking up of the primary  
18 stopes; right? That's your understanding. They'll be sort  
19 of -- at the end of the whole thing would be stripes. We  
20 looked at a picture, I believe, when you were here of red  
21 and blue stripes, red being primary stopes, blue being  
22 secondary. Is that your understanding of how the backfill  
23 would work?

24 A Yes.

25 Q Now, has there been, to your knowledge, an analysis of the

1 ability of the bottom stope of a primary -- of a red stripe  
2 or a primary stope to support the weight of the other  
3 primary stopes that would be sitting on top of it at the end  
4 of mining? Have you seen any analysis like that?

5 A No, I haven't; no.

6 Q And in fact, you testified that the 218 psi is based on a  
7 self-weight of a 30-meter-high CRF stope; right?

8 A Yeah; that's correct; yeah.

9 Q Okay. But at the end of mining, wouldn't the primary stopes  
10 actually be about 600 feet tall when they're all stacked on  
11 top of each other?

12 A Yeah, something in that order. That's correct; yeah.

13 Q Now, this is again from the application, but it's very  
14 short, so I think we'll be okay. On page 37 of DEQ Exhibit  
15 25, it says that, "The actual stope limits will be  
16 identified by stope definition drilling and sampling  
17 programs during operations." Is that -- do you -- I mean,  
18 if you don't have it there, that's okay. But do you have  
19 any reason to doubt that that's what the application says?

20 A No, I don't have any reason to doubt that; no.

21 Q So it seems that this -- the dimensions of the stopes might  
22 changed, according to the application, once operations  
23 begin. Is that your understanding of that -- what that  
24 sentence means?

25 A Well, the way I would interpret that is that the very simple

1 generic picture of these primaries and secondaries stacked  
2 up on top of each other looks good from an illustrative  
3 standpoint in terms of what the concept is. The reality is  
4 that this orebody, you know, is not a cube of rock. It's  
5 got all kinds of shapes and bends and twists in it and that  
6 the actual mine plan and stope layouts will have to follow  
7 the -- you know, they're have to follow the physical  
8 geometry of the ore.

9 So you're going to have some stopes that are going  
10 to inch way in. You're going to have other stopes that are  
11 going to -- they're going to swell out. And you're going to  
12 have some places where you might have 600 feet of vertical  
13 exposure and other places where you only have 200 feet. So  
14 it'll be a variable mix of stopes sizes and stope  
15 geometries.

16 Q Now, Dr. Stone, you also testified about a -- what's called  
17 a CMS system, which we've heard some other testimony about;  
18 the cavity monitoring system, which is a -- my understanding  
19 of it is that it's a sort of video camera, for lack of a  
20 better word, that helps to --

21 A It's a laser.

22 Q A laser. Okay -- that helps to define what's already been  
23 mined out and sort of the borders of everything; the borders  
24 of the ore versus the country rock, backfill versus country  
25 rock, that sort of thing; right?

1       A     Well, no. All that the CMS does is -- if I could use the  
2             word -- it maps in 3-D the physical outline of an opening.  
3             So when the mining engineer designs a stope, you know, he  
4             has a 3-D line that he's working to that goes into the  
5             design of the production block. The stope is then blasted  
6             and that the actual physical -- you know, after-blasting and  
7             after-mucking-stope geometry will vary, you know, slightly  
8             from what the mining engineer put on paper. And they use  
9             the CMS system to get a very, very quick three-dimensional  
10            map of what the real stope -- what the hole in the ground  
11            looks like. And it's brought into a three-dimensional mine  
12            planning program such as AutoCAD or, you know, one of the --  
13            whatever program that the mine is using, and so then you use  
14            that then to design the next stope.

15       Q     Is that a requirement of the permit, or was it discussed in  
16             the application?

17       A     Not to my knowledge, no.

18       Q     Now, Dr. Stone, you said that acid -- acidic water and acid  
19             mine drainage -- you said that that's a post-mining issue  
20             and that it has caused problems at other mines in the past.  
21             Now, I wonder if you have seen anywhere in the application  
22             or in the permit how that post-mining issue is to be  
23             addressed.

24       A     I haven't looked at any of the water quality stuff, so I  
25             can't speak to that. I can only speak to the section on the



1 mining as it relates to the backfill. I haven't read  
2 anything else.

3 Q Well, in the discussions of the backfill, then, has there  
4 been any discussion about how the backfill would respond to  
5 acidic water and that sort of discussion?

6 A In the permit?

7 Q Right, or in the application.

8 A Well, again, I can only speak to the actual mining section  
9 as it relates to backfill, and I don't recall seeing  
10 anything in there in those sections. Whether it's discussed  
11 elsewhere, I don't know.

12 Q Okay. Now, you also talked a little bit about sulfate  
13 attack. Do you remember talking about that?

14 A Yeah, I sure do.

15 Q And I just want to clarify one thing. The -- in your  
16 transcript, Dr. Stone, the word "heterogenite" is used,  
17 which was spelled there h-e-t-e-r-o-g-e-n-i-t-e. I think  
18 that maybe you were saying "ettringite"? Is that --

19 A Yeah, ettri- -- I can't even pronounce that word it's so  
20 awful.

21 Q But it's e-t-t- --

22 A Ettringite, which is a form of gypsum.

23 Q Right; e-t-t-r-i-n-g-i-t-e; right?

24 A Right; yeah.

25 Q Okay. I just want the record to be clear about what you

1           were really talking about that day.

2       A     Yeah. I'm sure the court reporter had fun with that.

3       Q     Right. No, no fault of hers. It's an interesting word.

4           Okay. And I'm wondering if you believe that the conditions

5           generally present in the mine would be cool.

6       A     Cool? You're talking about temperaturewise or --

7       Q     Yes, temperaturewise, cool.

8       A     -- kind of a cool place to work?

9       Q     Well, you might think that's the case, but I'm talking about

10          temperaturewise. What would you expect the temperature to

11          be?

12       A     You know, that's a really good question, you know. There

13          are some -- a lot of mining regions in the world, including

14          Nevada, that are hot. They're very hot underground, because

15          you have very active geothermal environments in close

16          proximity to the surface of the earth. So I have no clue as

17          to what the temperature would be underground in Michigan.

18          I'm not familiar with the geology there to know what kind of

19          a temperature grade you have there.

20       Q     Okay. Would you expect there to be sulfates in the

21          re-flooded mine?

22       A     Sulfates?

23       Q     Sulfates.

24       A     I don't know. I don't know.

25       Q     Silicates?

1 A Again I don't know. Silica comes from quartz. I don't  
2 know.

3 Q Comes from what?

4 A Did you say "silica"?

5 Q Silicates.

6 A Silicates?

7 Q S-i-l-i-c-a-t-e.

8 A No clue.

9 Q Carbonates?

10 A Well, you're going to have limestone in the --

11 Q Right.

12 A -- secondaries mixed in with the development rock, and that  
13 will produce carbonates.

14 Q Right. And of course water?

15 A Yeah.

16 Q Okay. Now, I'm having a hard time remembering exactly what  
17 you said when it came to the sulfate discussion. But have  
18 you ever heard of sulfate attack of cementitious materials?

19 A Yes, I have.

20 Q And what are the effects of that generally?

21 A It depends on what material you're talking about. But  
22 generally it's a swelling reaction, because the growth of  
23 those gypsum crystals is a -- causes an expansion, and so  
24 you get a weakening of the cemented materials as a result of  
25 that expansion process.

1 Q Okay. Now, I'm going to read you a section from the  
2 application that I find puzzling, and I'm hoping that you  
3 can help me understand it. It's DEQ Exhibit 25. It's on  
4 page 15. And I'll read it out loud for your benefit. And  
5 it says, quote:

6 "Excess development rock will be stored in the  
7 TDRSA for approximately seven years. For the first  
8 three years of facility development, no stope  
9 backfilling is planned or required due to the  
10 sequential primary/secondary stope backfill plan, which  
11 will maintain mine stability during this period."

12 Could you decipher that statement for us?

13 A Can you read that over again, please?

14 Q Sure.

15 "Excess development rock will be stored in the  
16 TDRSA for approximately seven years. For the first  
17 three years of facility development, no stope  
18 backfilling is planned or required due to the  
19 sequential primary/secondary stope backfill plan, which  
20 will maintain mine stability during this period."

21 A You want me to take a stab at that, do you?

22 Q Well, do you know what it means?

23 A Well, my interpretation of what they're saying is that it's  
24 going to take three years for there to be enough primaries  
25 to start backfilling. There's no place to fill for the

1 first three years.

2 Q Right. Well, I could agree with that up until a certain  
3 point. But then it says that it's not required because the  
4 backfill plan will maintain the mine stability during this  
5 period.

6 A Fortunately I didn't write that statement, and I have no  
7 clue what it means.

8 Q Fair enough. Do you have any understanding that the  
9 rockfill, either the cemented or uncemented, would be  
10 compacted in the stope?

11 A The only physical compaction that will take place will be  
12 when the -- both the primaries and secondaries are  
13 nearing -- the fill level gets up to the level of the brow  
14 that they're tipping from, and then at that point, you know,  
15 you're going to be out -- driving out over the top of the  
16 backfill to achieve the tight filling.

17 Q But the material that's dumped in and sort of would  
18 eventually form the bottom of a primary stope would not be  
19 compacted; is that right?

20 A No, it wouldn't; no.

21 Q Now, over time the mine water -- the water in the re-flooded  
22 mine is predicted to become saline. Do you have any idea of  
23 what the effect of that change in water chemistry might have  
24 on the rockfill?

25 A Are you -- you mean both for the cemented and the uncemented

1 or --

2 Q Each one.

3 A I can't imagine it would have any effect on the uncemented  
4 rockfill. What effect it would have on the cemented  
5 rockfill I really don't know. I'm not aware of anybody  
6 having any issues with the saline water impacting the  
7 quality of cemented rock. In fact, you know, most of the  
8 mines in western Australia -- and a lot of those mines do  
9 use cemented rockfill -- are in ultra-saline environments,  
10 which have -- I think it's something like 27 times the  
11 salinity of seawater. And I've -- and I do a lot of  
12 consulting work in western Australia, and even there I've  
13 never heard of anybody ever having any problems with  
14 cemented rockfill operating in those environments so --

15 Q Now, would you expect any shrinkage of the cemented backfill  
16 as it cures?

17 A Not in cemented rockfill. In other forms of cemented  
18 backfill, you can get shrinkage, but it's never been  
19 experienced, to my knowledge, in cemented rockfill. And  
20 that's one of the reasons why cemented rockfill is so  
21 popular for underhand cut-and-fill mining.

22 Q How long do you think that the cemented aggregate fill is  
23 necessary to remain intact based on your understanding of  
24 this site?

25 A Well, my understanding would be, because of the crown pillar

1 support issues, is that the backfill is designed to remain  
2 there indefinitely.

3 Q Now, are you aware of any studies of the long-term strength  
4 of cemented aggregate fill?

5 A Not of studies per se. The -- all I can point to is  
6 operational histories.

7 Q And I think you pointed out, Dr. Stone, that this -- the  
8 cemented aggregate fill started being used in the late 60's?

9 A That's correct, in the form that's envisioned for Eagle;  
10 yes.

11 Q So we have 40 years of data to draw on? Is that about  
12 right?

13 A Yeah, whatever -- yeah, whatever -- yeah, something like  
14 that. But actual backfilling process goes back hundreds and  
15 hundreds of years.

16 Q But this type of backfill began in the late 60's. That's  
17 what you said; right?

18 A Cemented rockfill, yeah; yeah.

19 Q Now, Dr. Stone, I believe you took issue with some of Dr.  
20 Vitton's and Mr. Parker's comments based on your perception  
21 that they were coming at things from a civil engineering  
22 versus a mining engineering perspective. Do you remember  
23 that?

24 A With respect to the block criteria, yes.

25 Q Now, how long do you think a civil engineer is -- what is

1           their time horizon when they're planning projects?

2       A     I don't know.  I'm not a civil --

3       Q     You have a dual degree -- right? -- civil engineering and

4           mining engineering; right?

5       A     Sorry.  What was that -- say that again.

6       Q     You have a dual degree -- right? -- civil engineering and

7           mining engineering; is that right?

8       A     I'm sorry.  I didn't catch it again.

9       Q     You have a dual degree -- isn't that right? --

10      A     Oh, sorry.  Okay.  Yeah.

11      Q     -- civil and mining engineering?

12      A     But I've never practiced in civil engineering.  My whole

13           career has been in mining.

14      Q     I see.  Do you have any idea what kind of time horizon a

15           civil engineer is looking at when they're planning a

16           project?

17      A     Well, I don't know.  I mean, it would depend on the type of

18           a project.  I mean, if you're designing a dam, presumably it

19           would be hundreds of years.

20      Q     Right.  Okay.  Now, given your answer that this backfill and

21           the uncemented rockfill needs to stay in place indefinitely,

22           do you think that there would be any long-term strength

23           decrease in 50 years?

24      A     Generally cemented backfill continue to increase strength

25           with time, not decrease strength with time.  So, you know,



1 we do all of our designs based on 28-day strengths, but the  
2 cement doesn't -- it doesn't stop curing and hydrating then.  
3 It -- that process continues on for many, many, many years.

4 Q Sure. So my question was, would there be any strength  
5 loss --

6 A I wouldn't expect any.

7 Q 100 years?

8 A I wouldn't expect any, no.

9 Q 200 years?

10 A Now you're getting out beyond my experience.

11 Q Well, you just testified that it needs to last indefinitely.  
12 200 years is not an indefinite -- I mean, that's a pretty,  
13 you know, reasonable amount of time when we're talking about  
14 things like geology. So what do you think?

15 A I have no reason to believe that it would lose strength over  
16 time.

17 Q How about 500 years?

18 A I don't know. You're going --

19 Q So at 500 years you don't know?

20 A No, 'cause I don't know of anybody that's done it so --

21 Q Based on your knowledge and experience, what do you think?

22 A As I've already said, I don't see -- I don't know of any  
23 reason why it would lose strength so --

24 Q 1,000 years? What do you think?

25 A Again, it's well beyond the window that we would normally

1 design things to for a mining application.

2 Q Is it well beyond the window of what you've designed this  
3 mine to?

4 A I don't know.

5 Q Well, you helped design and test the backfill.

6 A I didn't design it. All I did was tested it.

7 Q Okay. You tested it, and you've reviewed the plan; right?

8 A I reviewed the plan, and I tested the materials. It's not  
9 my design.

10 Q Okay. I understand that. So based on what you know, it  
11 sounds like you're saying you don't know what would be  
12 happening with the backfill, say, 500 to 1,000 years from  
13 now?

14 A Yeah. I couldn't tell you.

15 MS. HALLEY: All right, Dr. Stone. Thank you very  
16 much. I believe I'm done. And I think Mr. Wallace may have  
17 a few questions for you.

18 MR. WALLACE: Yes, sir.

19 CROSS-EXAMINATION

20 BY MR. WALLACE:

21 Q Do you have a file with you, Dr. Stone?

22 A A file?

23 Q A file of materials that you've accrued over the past year  
24 and a half regarding this assignment.

25 A I have a -- yes, I guess I do; yes.

1 Q And that includes your report to Kennecott of the laboratory  
2 results; correct?

3 A That's correct; yeah.

4 Q Did you also provide a report to Kennecott on your view of  
5 the minefill design?

6 A No, I did not.

7 Q What other materials did you provide to Kennecott besides  
8 the study --

9 A Just the lab report.

10 Q Only that?

11 A Yeah.

12 Q And what does that consist of? How long of a report is  
13 that?

14 A I believe it's about 60 pages with all the appendices.

15 Q 60 pages? Okay. And does that include narrative as well as  
16 calculations?

17 A It includes narrative plus test results. There's no  
18 calculations.

19 Q I'm going to digress here for a minute, sir, and this  
20 doesn't concern you.

21 MR. WALLACE: But I'm going to move to strike the  
22 testimony of this gentleman. We were told there was no  
23 report. We, of course, had no deposition. There's only a  
24 very sparse description of his testimony. On March 7th a  
25 document was filed with this court, indicating that he had

1 prepared no report. No report was provided to us. And I  
2 think again we've been put in a position of being  
3 ill-equipped to deal with a highly technical witness for  
4 inexplicable reasons. I think his entire testimony should  
5 be stricken.

6 MS. LINDSEY: Your Honor, if I can bring you back  
7 to the purpose of his testimony, was to refute and to rebut  
8 the testimony of the Petitioner's exhibits. And if you'll  
9 remember -- this was a couple weeks ago -- that's exactly  
10 what he did. He was brought in specifically for rebuttal to  
11 the comments that Dr. Vitton and Mr. Parker made, and his  
12 testimony is very much rebuttal. There was no requirement,  
13 as we continue to say, to prepare reports or to produce  
14 reports. And if they were not part of the mine permit  
15 application, there was no requirement to produce those. And  
16 I don't understand how they can continue to say that they  
17 had no idea what he was going to testify about. It was  
18 purely rebuttal, and they've been given two weeks to prepare  
19 for a cross-examination of it, and there was nothing that  
20 was a surprise. The report is irrelevant to his testimony  
21 and the testimony that he gave.

22 MR. WALLACE: Well, it's just hard to say it's  
23 irrelevant, because we don't have the 60-page report. But  
24 his testimony -- expected testimony as listed on March 7th  
25 and filed with this court was "mine engineering; mining

1 plan; mine backfill materials and methods; stability of mine  
2 and backfill and blasting against backfill; potential for  
3 ARD; degradation of backfill; rebuttal as appropriate to  
4 Petitioner's experts' opinions within his area of  
5 expertise." So he testified to many areas, not just  
6 rebuttal, and he made specific reference on direct to having  
7 a lab -- a laboratory facility in Seattle that he used to  
8 test the strength of material, and he asserted that strength  
9 as part of support for his favorable opinion rendered in  
10 this case. And he's had a report, which we could have  
11 looked at over the past two weeks, we should have been able  
12 to look at since March 7th, which we've never seen.

13 MS. LINDSEY: And the report, they keep referring  
14 to it as a 60-page report. As I understand -- and, Dr.  
15 Stone, you can correct me if I'm wrong? Is much of that  
16 appendices or test results? Is that a large part of the  
17 report?

18 THE WITNESS: Yeah. It's a laboratory test  
19 report, so all it does is just talking the testing  
20 methodologies and the results.

21 MS. LINDSEY: And Dr. Stone did not testify to his  
22 results. He was asked about it on cross. On direct he did  
23 not testify to that. His opinion did not relate to those  
24 test results. This is purely -- the mine planning continues  
25 to go on and, if there's operational issues, that continues.

1           There is no requirement that that be -- what we're doing  
2           here is talking about whether the mine permit should be  
3           granted, and that they -- are issues that did he test the  
4           strength. He didn't testify to that in direct. He  
5           testified was the strength of 218 psi, which was in the  
6           application, sufficient in his experience and in his  
7           opinion. And that's what he testified to; had nothing to do  
8           with any subsequent tests about the backfill. And so it's  
9           irrelevant whether he's tested it. They asked him about it,  
10          and he talked about it on cross, but it's not relevant to  
11          the testimony that he gave.

12                       MR. WALLACE: May we ask Dr. Stone when he  
13          prepared this report?

14          Q        Dr. Stone?

15          A        Yeah. Okay. It's dated January 2007.

16                       MR. WALLACE: I see no reason whatsoever why they  
17          would submit to this court a statement that this expert had  
18          prepared no report, 60 pages of calculations and narrative.

19                       MS. LINDSEY: The question, as I understood the  
20          witness disclosure, was, were reports prepared that we were  
21          going to rely upon in this case. Reports were not required  
22          to be prepared, and that was not something -- the question  
23          is, did we rely on it. We did not rely on his report in  
24          this case.

25                       MS. HALLEY: Your Honor, may we ask --

1 MS. LINDSEY: If I may finish --

2 JUDGE PATTERSON: Let her finish.

3 MS. LINDSEY: There was no requirement at all that  
4 reports be prepared and that all reports be produced that  
5 anyone had done. The -- we did not identify a report  
6 because we were not relying on it, and it had not been part  
7 of the permit application. That's -- those were the reports  
8 identified. And their reports that their experts prepared  
9 had all been submitted to the DEQ in the comment process,  
10 and those are what, my understanding is, they've relied on.  
11 The reports we've identified are the reports that our  
12 experts have relied on and testified about in this case.  
13 Dr. Stone was purely rebuttal testimony. And if you  
14 remember, I was very careful to ask the specific questions  
15 of, "This is what Dr. Vitton testified. This is what Mr.  
16 Parker testified to. Do you agree? Why or why not?" And  
17 the rest of it was background so that we could get his  
18 credentials and we could understand the context of his  
19 testimony. But that was -- the purpose of his testimony was  
20 rebuttal. So we did not know particularly what he might  
21 need to testify to when we first prepared our witness list,  
22 because, honestly, there was no backfill expert on  
23 Petitioner's list. So we didn't know if they were even  
24 going to testify about this. But we put it on there because  
25 they had two experts who had commented on it as a portion of

1 their reports, and so we put him on there as qualified to  
2 testify about this should it become -- should it be raised.  
3 And when it was, that's what we presented. So there was  
4 never a requirement that we produce reports from experts  
5 that we were not intending to rely on.

6 MS. HALLEY: I'm sorry for interrupting before,  
7 your Honor.

8 JUDGE PATTERSON: That's all right.

9 MS. HALLEY: I wonder if we might be able to ask  
10 Dr. Stone if his opinions about the stability of the  
11 backfill were developed partially in reliance on these  
12 laboratory results. I'm assuming that's why they performed  
13 the tests.

14 JUDGE PATTERSON: You can ask him that.

15 MS. HALLEY: Dr. Stone, is your opinion about the  
16 stability of the backfill in part at least formed by these  
17 results of your lab tests and what's contained in this  
18 report?

19 THE WITNESS: The intention of the lab testing was  
20 to show that we could get the strength that we needed with  
21 the mix design. It's separate from the actual stability  
22 issues and stability questions. So I don't see the two of  
23 them connected. And also, like I said, we did the actual  
24 plant -- you know, got into the details of the plant.

25 MR. WALLACE: Well, your Honor, I mean, we could



1 go back and forth about what the, you know, record now  
2 consists of. But, you know, we have transcript of direct  
3 testimony. We know that he touted his laboratory and  
4 laboratory testing in that direct testimony -- his  
5 considerable testimony that is not focused simply on  
6 rebuttal of the testimony of our experts. This man was held  
7 out as an expert fairly enough, and his credentials and his  
8 facilities were emphasized, and he came into this court, and  
9 he said he believed this was -- would consist of backfill of  
10 a sufficient strength to maintain the crown pillar of this  
11 mine. And I think that he has a 60-page report and it  
12 wasn't given to us is inexcusable, and we shouldn't have to  
13 have this testimony remain in the record. I mean, that was  
14 the purpose of the disclosure, which was minimal and in this  
15 instance not correct.

16 MS. LINDSEY: Well, his testimony had absolutely  
17 nothing to do with the results. He keeps -- Mr. Wallace  
18 keeps referring to the results of his lab. Yes, he had a  
19 lab, and he talked about it, and he did testing. His  
20 opinion was based purely on the -- and I asked him  
21 specifically. "The mine permit application calls for a  
22 strength of 218 psi. In your opinion, is that sufficient?"  
23 His testimony was, "Absolutely." That they've tested to  
24 determine whether they can reach the 218 psi was never a  
25 question that I asked and was not part of his opinion. That

1 is an operational issue that obviously Kennecott's going to  
2 have to meet the permit application. This has been an issue  
3 that, you know, there's all these things in the permit  
4 application. They have to be able to meet them. This is  
5 operational. Can they meet that strength? And I did not  
6 ask Dr. Stone whether his test results -- what were the  
7 results of those and, you know, could that meet the  
8 strength. The question is, is the design of 218 psi --  
9 because the opinion from Dr. Vitton and Mr. Parker was that  
10 that was insufficient. And I asked him, based on his  
11 experience and based on his education and experience,  
12 whether 218 psi was sufficient in this application." So the  
13 results of whether it can meet 218 psi is simply not  
14 relevant to his testimony, and I -- this is just a tactic to  
15 try to get this testimony out. It has nothing to do with  
16 what he actually testified to.

17 JUDGE PATTERSON: Well, obviously much of Dr.  
18 Stone's testimony is related to what he's terminated  
19 "operational issues." There are certain parameters and  
20 certain permit conditions have to be fulfilled. I don't see  
21 necessarily that this laboratory report has any direct  
22 relationship to his testimony at this point, so I'm going to  
23 deny the request to strike his testimony.

24 MR. WALLACE: Thank you, your Honor.

25 JUDGE PATTERSON: Okay.

1 Q Sir, are you involved with a company called -- is it Adanac  
2 or Adanac (pronouncing)?

3 A Adanac Moly Corp, yeah.

4 Q Yes. And what is that company, sir?

5 A It's a junior mining company based out of Vancouver.

6 Q It's a mining operation for molybdenum; is that right?

7 A Yeah. They're trying to build a molybdenum mine.

8 Q Has the mine been built yet?

9 A No.

10 Q And you're the president and chief executive officer of that  
11 company?

12 A I'm the CEO, yes.

13 Q And you serve on the boards of a number of other companies;  
14 is that correct?

15 A I do, yes.

16 Q How many other companies do you serve on the boards of?

17 A I believe there is at least five, maybe six.

18 Q And are these all publicly traded companies?

19 A They're all publicly traded companies, yes.

20 Q What's Formation Capital Corp? Is that one of those  
21 companies?

22 A Yes. They have a cobalt mine in Idaho that they're trying  
23 to permit and build.

24 Q Okay. And do any of these companies have anything to do  
25 with backfilling?

1 A Yes.

2 Q Adanac Molybdenum?

3 A Adanac, no.

4 Q But MineFill Services does?

5 A Yeah. We are a consultant to some of the companies that I  
6 serve on the boards of.

7 Q Have you ever done work for any Rio Tinto company before?

8 A Yes.

9 Q About how many times?

10 A Maybe a half a dozen.

11 Q And is the work you've done had to do with backfill or with  
12 other aspects of the mining industry?

13 A Would be backfill and rock mechanics, which are my two  
14 principal areas of expertise.

15 Q Does Rio Tinto have any mines that are using backfill that  
16 you advised on at this time?

17 A Boy, I'm going to have to think. I can't recall the last  
18 Rio Tinto backfill that they did. I'd have to go back and  
19 look through all the projects I've worked on to answer that.

20 Q How far back does your relationship with Rio Tinto go, sir?

21 A Maybe to, like, the early 1990's.

22 Q And on what kind of basis are you compensated for your work  
23 done in this case?

24 A It's a normal consulting fee arrangement, so it's an hourly  
25 fee.

1 Q And about how much have you been compensated so far, sir?

2 A I have no clue. I could not tell you. Are you talking

3 about Eagle now or --

4 Q Eagle.

5 A Even that one I have no clue. It -- maybe \$20,000 or

6 \$30,000 or something.

7 Q Does that include providing them with a 60-page report?

8 A Yeah. And that includes the cost of the lab testing and

9 everything, yeah. The testing itself costs money.

10 Q Do you have a sense or have you calculated the volume of

11 cemented rockfill that will be used to fill this mine if

12 it's mined up?

13 A That was outside my scope.

14 Q You don't have any idea how much backfill is actually going

15 in here?

16 A No.

17 Q You don't have any how much aggregate is going to be

18 required?

19 A No.

20 Q You're aware that there are tunnels and drifts leading from

21 the surface to the orebody; correct?

22 A Yeah. There's a decline, yeah.

23 Q And have you seen the plan that describes that decline and

24 the kind of circular stairway of tunnels down to the bottom

25 of the orebody?

1 A Only in a general sense. I've never looked at the  
2 specifics.

3 Q Okay. And you understand that those tunnels and drifts will  
4 create subsurface voids; correct?

5 A Yes.

6 Q And wherever there's subsurface voids created by mining  
7 there will be some measure of subsidence at the surface;  
8 correct, sir?

9 A I don't know if that's a -- that's an overly broad statement  
10 for me to agree with being a rock mechanics engineer. There  
11 is a depth -- there is a threshold depth that you would get  
12 down to where any drifting and tunneling would be  
13 imperceptible at the surface.

14 Q Okay. But that's not a depth that we're concerned with  
15 here; correct, sir?

16 A You mean that it would be below where we are now or --

17 Q It would be below that?

18 A I would say that it's well within what we're doing here. I  
19 mean, if you -- the mining voids are one thing, but the --  
20 all the development work in the declines and drifts and  
21 adits and everything that form the development for the mine,  
22 we're working at depths well below where those voids and  
23 openings would have any impact on the surface.

24 Q Well, the voids and openings begin at the surface, sir. At  
25 that depth it's zero; correct?

1 A You're talking about subsidence, though, so -- saying  
2 that --

3 Q Is it true, sir, that no plan that you've seen exists  
4 whatsoever for backfilling the tunnels and drifts at the end  
5 of this mining operation?

6 A That's outside of my scope. I don't -- I can't comment on  
7 that.

8 Q And I gather you don't have any idea, then, approximately  
9 the cubic meters or cubic feet volume of tunnels and drifts  
10 that will never be backfilled here; is that correct?

11 A I have no clue.

12 Q And do you know that, at the end of this mining operation,  
13 the opening to the tunnel will be plugged?

14 A Again, it's outside of my scope. I'm not familiar with what  
15 the requirements are there.

16 Q So do you know anything about the capacity of anyone to  
17 monitor -- after the opening's been plugged, monitor  
18 convergence or any other aspects -- aspect of subsidence  
19 after this mine is closed?

20 A It's all outside of my scope, and I have no knowledge.

21 Q Do you know the convergence, should it occur in the drifts  
22 or tunnels -- in other words, the closing together of the  
23 roof and floor of the tunnels typically has some  
24 relationship to subsidence at the surface; correct, sir?

25 A It can.

1 Q But again, you don't know that there's any plan to measure  
2 convergence or predict convergence and resulting subsidence  
3 at this mine in this mine plan?

4 A As I indicated before, it's outside of my scope, and I have  
5 no knowledge.

6 MR. WALLACE: Thank you. I have nothing further.

7 MS. LINDSEY: Dr. Stone, I just have -- this is  
8 Sarah Lindsey, and I have a few questions for you following  
9 up on Ms. Halley's direct (sic).

10 REDIRECT EXAMINATION

11 BY MS. LINDSEY:

12 Q One of the things that she asked you about was the strength  
13 used in the paper that you talked about, your 2007 paper --  
14 2007 paper that talked about the Nevada mines and asked you  
15 to compare that strength. Can you tell us again whether you  
16 think that -- or explain to us whether you think the 218 psi  
17 here or the 1.5 megapascal is sufficient and then compare  
18 that to the strength required in the Nevada mine that you  
19 discussed in your article?

20 A Yeah. As I've indicated, you know, based on my experience  
21 and based on my review of the Golder calculations and based  
22 on the examples that I presented during my direct testimony,  
23 the 1.5 MPa design criteria is appropriate, in my mind, for  
24 this particular application and is well within  
25 industry-accepted -- an industry-accepted range. And, of



1 course, it's a very different scenario, as we've talked  
2 about many times now, from entry stopes where you're working  
3 underneath backfill where worker safety is paramount.

4 Q Okay. And another question was, you had testified earlier  
5 and Ms. Halley asked you about the strength for the stope  
6 and that the strength determination is for the basis of  
7 filling just the one 30-meter stope at a time; correct?

8 A Yeah.

9 Q Okay. And then she asked you about the fact that these  
10 primaries would be stacked sort of one on top of each other  
11 until you get to the end of the mine; right?

12 A Yeah.

13 Q Okay. Can you explain to us whether you think the 1.5 MPa  
14 is sufficient to support that entire column or explain to us  
15 why it is that you don't take into consideration the  
16 additional columns when you're determining the necessary  
17 strength?

18 A As was pointed out, the 1.5 MPa strength criteria is  
19 designed to provide a stable free face of cemented rockfill  
20 30 meters high when you're extracting the secondary adjacent  
21 to a cemented rockfill primary. When you -- once you've  
22 mined out a level and go up to the next level and start  
23 mining primaries and secondaries on that, then the uniaxial  
24 compressive strength of the backfill actually becomes  
25 irrelevant because, at that stage, the backfill is confined.

1 And therefore there is no -- there is no mechanism for it to  
2 fail. And, in fact, I go back to the scenario that a lot of  
3 mines use, you know, 100 percent uncemented backfill. And  
4 that's exactly the scenario is that, when you're working on  
5 top of backfill, you don't need strength in it at all. So  
6 in an overhead mining situation such as envisioned for  
7 Eagle, you don't get this multiply effect of loading the  
8 stopes up below because the stopes are totally confined and  
9 the backfill has nowhere to go.

10 Q Okay. There was also -- you were asked some questions about  
11 a blasting plan in the backfill. My question is whether  
12 your testimony about the effects of blasting on cemented  
13 rockfill and its ability to withstand that blasting -- can  
14 you tell us generally what you're basing that opinion on?

15 A I'm sorry. Could you repeat the question, Sarah?

16 Q Yeah, I will. You were asked some questions about whether  
17 there was a blasting plan and whether it was necessary to  
18 develop a blasting plan to determine its effect on the  
19 backfill. And my question is, you gave some testimony a  
20 couple of weeks ago about your experience with blasting  
21 against the backfill or development plans. Is it your  
22 experience or is it your testimony that there needs to be a  
23 plan for blasting, or will the rockfill, in your experience,  
24 withstand various types of blasting? I mean, in your  
25 experience, is a plan necessary for blasting?

1 A Well, I guess the -- the answer to the question is kind of  
2 the inverse of what the thinking here is that the blasting  
3 plan relates to the design of the blast in the secondaries.  
4 And those blasts are designed not to impact the fill. The  
5 fill itself -- provided that we follow certain protocols and  
6 procedures so as to -- so as to, you know, minimize the  
7 impacts on the fill, the actual fill itself is kind of, you  
8 know -- how would I put it? -- it's inherently safe, you  
9 know, for that blasting in that environment because of  
10 the -- because of the -- because of the mechanical  
11 properties of the fill that are inherent in that type of a  
12 fill. It makes sense that -- so we design the blasting not  
13 to impact the fill. And it's a given that, if the fill  
14 meets a certain safety factor, it's generally -- from  
15 operating experience generally will always be  
16 blast-resistant in that regard.

17 Q Okay. You were also asked about the literature that  
18 describes problems with segregation. And Ms. Halley  
19 referred to the Kidd Creek Mine particularly. Are you  
20 familiar with those problems or at least the literature with  
21 respect to those problems?

22 A Yes, I am.

23 Q Okay. And is anything -- has anything changed since then or  
24 can anything be done to minimize segregation that was  
25 experienced there?

1 A Well, I believe in my direct I did address this in that, you  
2 know, the early days of Kidd Creek and Mount Isa when they  
3 were -- you know, first introduced cemented rockfill, there  
4 were a number of years where they learned a lot. And one of  
5 the things that they learned was about minimizing  
6 segregation. And one of the -- as I mentioned in my direct  
7 testimony, one of the key ways that we minimize segregation  
8 is by reducing the top size of the aggregate. At Kidd Creek  
9 back in those days, they used to use a 6-inch minus rock so  
10 that the maximum particle size in the backfill back in those  
11 days was -- you know, was 6 inches or more. Nowadays mines  
12 don't do that because they know that, if you go with a top  
13 size that large, you're going to get segregation problems.  
14 So most mines now will generally crush and screen their  
15 aggregate down to either a minus 2 inch or a minus 3 inch.  
16 And that eliminates -- it eliminates a good portion of the  
17 segregation problems. And then there are other operational  
18 things that you can do by playing with the mix design, as I  
19 had testified before, and also in terms of how you place  
20 this material in order to -- you know, in order to also  
21 minimize segregation.

22 Q Okay. You were also asked about sulfate attack on  
23 cementitious material. Do you remember those questions  
24 generally?

25 A Yes.

1 Q Is that, in your experience, a problem with cemented  
2 rockfill?

3 A It has no relevance to cemented rockfill.

4 Q Okay. Can you explain to us why?

5 A Well, because sulfate attacks in mine backfills always  
6 relate to the backfill itself being the source of the  
7 sulfate. And all of the instances of sulfate attack in mine  
8 backfill have been in mines that use tailings -- tailings as  
9 the backfill, either tailings as hydraulic fill or tailings  
10 as paste. And in this case, we're using aggregate. So the  
11 aggregate has no sulfates in it, so it's -- and it's  
12 measured rockfill. So there is no -- it's an irrelevant  
13 issue for Eagle.

14 Q Okay.

15 MS. LINDSEY: Thank you. I have no more  
16 questions.

17 MR. REICHEL: Dr. Stone, this is Bob Reichel. I  
18 represent the DEQ in this proceeding. I'd like to follow up  
19 on a few things raised during cross-examination.

20 THE WITNESS: Can you speak up? I can barely hear  
21 you.

22 MR. REICHEL: I'm sorry. Can you hear me now,  
23 sir?

24 THE WITNESS: Yeah. That's better.

25 MR. REICHEL: Okay. I apologize. I represent the

1 DEQ, and I want to follow up on a few of the items from  
2 cross-examination.

3 CROSS-EXAMINATION

4 BY MR. REICHEL:

5 Q Ms. Halley, I believe, asked you a series of questions  
6 directed to whether or not certain operational details of  
7 the backfilling process were specified in the permit  
8 application or the permit itself. Do you recall that?

9 A I do, yes.

10 Q Now, let me just touch on a few of those. I believe you  
11 testified that -- and just touched on this a moment ago --  
12 that one -- in preparing the backfill that's being proposed  
13 here, the aggregate material that is expected to be brought  
14 to the site would be screened and crushed to meet certain  
15 desired characteristics; is that correct?

16 A Yeah; that's correct.

17 Q In your experience in the mining industry, is that sort of a  
18 process or method something that's widely used in the mining  
19 industry and generally -- is it widely used in the mining  
20 industry?

21 A Absolutely.

22 Q And is that sort of a methodology generally accepted within  
23 the industry as an effective means of controlling the  
24 quality of materials in the -- to be used in the backfill?

25 A Yeah. Because the backfill mix has a specification that you

1 are -- that you're attempting to achieve. So that's part of  
2 the specification.

3 Q And I believe there was also some discussion about moisture  
4 content; do you recall that?

5 A Yes.

6 Q And again is it your testimony that you -- well, in your  
7 experience in the industry -- in the mining industry, is the  
8 moisture content of materials to be used regularly  
9 monitored?

10 A The way it's done in industry, the practice is that it's  
11 a -- what I would call an observational -- it's an  
12 observational approach in that, if you -- let's say, for  
13 example, in the winter, if you got a lot of snow mixed in  
14 with the aggregate and that aggregate then got dumped down  
15 the raise into the backfill plant and that snow, you know,  
16 melts and then became part of the aggregate and made it wet,  
17 what would happen is that, when they start batching the  
18 backfill with that aggregate, they would start to notice --  
19 and it's amazing how easy it is to -- how little changes are  
20 noticeable in the backfill as soon as it's batched. And so  
21 what they do is they have -- they'll have a setting in the  
22 backfill plant that will allow them to cut back on the water  
23 a little bit when the aggregate is really wet in order to --  
24 in order to visually achieve a backfill at the desired  
25 consistency. And then when the backfill dries out, they'll

1 notice that the backfill starts to go dry, and they'll start  
2 to add more. So it's not a -- it's not a physical  
3 monitoring in terms of taking samples of aggregate and  
4 taking it to a lab and measuring the water content. It's  
5 done on a visual basis at the batch plant.

6 Q Okay. Thank you for clarifying that. But is the method  
7 that you've described, a visual observation and adjusting  
8 equipment in the cement plant -- is that a method that, in  
9 your experience, is or is not widely used in the mining  
10 industry?

11 A It's widely used. That's -- most backfill plants are set up  
12 that way, yes.

13 Q And in your professional experience, is that generally  
14 accepted as effective?

15 A Absolutely; yeah.

16 (Counsel reviews notes)

17 Q I believe you were also asked about -- my notes are a little  
18 unclear, so I may be misstating this but -- whether there  
19 was a method specified or procedure specified for monitoring  
20 the quality of the backfill. Do you recall being asked  
21 about that?

22 A In general terms, yeah; yeah.

23 Q Well, let me ask you this. In your experience in the --  
24 strike that. Based upon your review of what is being  
25 proposed for the Eagle Mine project, what is your



1 understanding of what process, if any, would be used to  
2 monitor the quality of the backfill?

3 A I'm not sure I understand your question.

4 Q Okay. That was poorly stated. Let me ask you this.

5 A I mean, as to what's in the permit?

6 Q Do you have any understanding, sir, based upon your  
7 experience in the industry and using this kind of backfill  
8 material, cemented rock backfilling, as to whether or not  
9 there is -- there are any methods or techniques commonly  
10 used in the mining industry to monitor the quality of that  
11 during the process of backfilling over time?

12 A Yes; absolutely. Yeah.

13 Q And could you briefly -- you may have discussed this before.  
14 Could you briefly describe what those methods or processes  
15 are?

16 A Yeah. The principal method, as I described in my direct,  
17 was collecting cylinders -- ASTM cylinders of backfill --  
18 the wet backfill product and curing them and then doing  
19 strength testing on them. And then we do periodic ASTM --  
20 what's called an ASTM C109 strength test on -- mortar cube  
21 test on the cement and also on the flyash. And we will do  
22 either daily or weekly screens -- what they call a sieve  
23 analysis on the aggregate to measure the gradation of the  
24 aggregate to make sure that we're getting the right grading  
25 in the aggregate and make sure we have enough fines in the

1           aggregate and also periodically would test the mix water  
2           that's used -- if they're using mine water for mix water,  
3           we'd periodically test that and make sure that there's no  
4           deleterious materials in the mix water.

5       Q     The methods or procedure you just described, are they or are  
6           they not widely used in the mining industry?

7       A     They're widely used.

8       Q     And to your knowledge, are they generally accepted as  
9           effective?

10      A     They are indeed.

11      Q     I believe you were also asked on cross-examination some  
12           questions about the use of three-dimensional mapping of the  
13           openings subsurface. Do you recall that?

14      A     Yes.

15      Q     And I think reference was made to a particular type or  
16           method of that. I think it's referred to as CMS; is that  
17           correct?

18      A     The cavity monitoring system, yeah.

19      Q     Just so I'm clear on this, is that -- is that the only means  
20           of doing three-dimensional mapping of a subsurface opening?

21      A     No. There are -- there are other methods. And there are --  
22           there are a number of vendors that sell these CMS systems.  
23           It used to be one vendor, but now there's a whole slew of  
24           them. And there are other methods that it can be done as  
25           well. It can be done by radar as well as laser.

1 Q Okay. But functionally is it or is it not the case that  
2 there are practices or methods widely used in the mining  
3 industry for essentially mapping out the subsurface openings  
4 as you've described?

5 A Yeah. Nowadays it's pretty much routine. So, I mean, it's  
6 an industry-accepted practice to do a CMS survey at the end  
7 of every stope.

8 Q And in your experience in the mining industry, is that sort  
9 of method generally accepted as an effective means of  
10 determining the opening size?

11 A Absolutely.

12 MR. REICHEL: That's all I have. Thank you, sir.

13 MS. HALLEY: I just have a couple more questions.

14 RECROSS-EXAMINATION

15 BY MS. HALLEY:

16 Q Dr. Stone, generally speaking, what would be considered a  
17 high strength on the megapascal scale?

18 A The highest strength backfill that I've ever encountered in  
19 my career was up around 8 to 9 MPa. So what would that be?  
20 That would be -- well, that is in psi. I can't think in  
21 psi.

22 Q That's okay. We can work in MPa's. That's all right. So 8  
23 to 9 is the highest you've ever seen?

24 A Yeah.

25 Q And in your paper, where would you place 4.8 on the scale?

1 A That's -- from an industry standpoint, that's a pretty  
2 high -- pretty high strength. It certainly statistically  
3 would be higher than most mines would use.

4 Q All right. Now, I believe -- correct me if I'm wrong --  
5 that you said before that the long-term and short-term  
6 support of the crown pillar was a secondary consideration  
7 for the backfill -- is that right? -- and that the main  
8 purpose of backfilling is to support the -- well, to provide  
9 the opening for the next stope to continue the extraction  
10 process?

11 A Well, I should clarify that I wasn't trying to pick that in  
12 terms of the importance. I guess being a mining -- mining  
13 engineer and a backfill consultant, the principal function  
14 from a mining engineering standpoint, you know, is providing  
15 the support and safety for mining the adjacent stopes. I  
16 wasn't trying to label them in terms of which one is more  
17 important than the other.

18 Q Okay. Now, the items that Mr. Reichel just talked to you  
19 about, the quality control of the backfill, the aggregate  
20 grading, the mixed water, the CMS system, are those  
21 described in the application or the permit? I just want to  
22 be clear. Are they included or not? Is there a description  
23 of those materials, the methods, the techniques -- are they  
24 included in the application?

25 A Not to my knowledge, they're not, no.

1 Q All right.

2 MS. HALLEY: No further questions.

3 MR. WALLACE: Nothing further, your Honor.

4 MS. LINDSEY: I have no further questions.

5 MR. REICHEL: Nothing.

6 JUDGE PATTERSON: Thank you again, sir, for being  
7 available. We'll end your testimony.

8 MS. LINDSEY: Thank you, Dr. Stone. I think we're  
9 going to disconnect now.

10 THE WITNESS: Okay. Thank you.

11 (Hearing adjourned at 11:53 a.m.)

12 -0-0-0-

13

14

15

16

17

18

19

20

21

22

23

24

25