

STATE OF MICHIGAN

STATE OFFICE OF ADMINISTRATIVE HEARINGS AND RULES

In the matter of: File Nos.: GW1810162 and
MP 01 2007

The Petitions of the Keweenaw
Bay Indian Community, Huron Part: 31, Groundwater
Mountain Club, National Discharge
Wildlife Federation, and 632, Nonferrous
Yellow Dog Watershed Metallic
Environmental Preserve, Inc., Mineral Mining
on permits issued to Kennecott
Eagle Minerals Company. Agency: Department of
Environmental
Quality

Case Type: Water Bureau
and Office of
Geological
Survey

D R A F T T R A N S C R I P T

HEARING - VOLUME NO. XXVII (27)

BEFORE RICHARD A. PATTERSON, ADMINISTRATIVE LAW JUDGE

Constitution Hall, 525 West Allegan, Lansing, Michigan

Monday, June 16, 2008, 8:30 a.m.

APPEARANCES:

For the Petitioner MR. ERIC J. EGGAN (P32368)
Keweenaw Bay Indian Honigman Miller Schwartz and Cohn LLP
Community: 222 North Washington Square, Suite 400
Lansing, Michigan 48933-1800
(517) 377-0726

1 For the Petitioner PETER K. DYKEMA (P37352)
Huron Mountain Club: Winston & Strawn
2 1700 K St. NW
3 Washington, DC 20006
(202) 282-5773
4
5 For the Petitioners F. MICHELLE HALLEY (P62637)
Yellow Dog Watershed National Wildlife Federation
6 Preserve and National PO Box 914
Wildlife Federation: Marquette, Michigan 49855
(906) 361-0520
7
8 For the Respondent ROBERT P. REICHEL (P31878)
Michigan Department of DANIEL P. BOCK (P71246)
9 Environmental Quality: Assistant Attorney Generals
10 Environment, Natural Resources and
Agriculture Division
11 6th Floor, Williams Building
525 West Ottawa Street, PO Box 30755
12 Lansing, Michigan 48909
(517) 373-7540
13
14 For the Intervenor RODRICK W. LEWIS (P43968)
Kennecott Eagle CHRISTOPHER J. PREDKO (P56040)
15 Minerals Company: Warner Norcross & Judd LLP
2000 Town Center, Suite 2700
16 Southfield, Michigan 48075
(248) 784-5000
17
18 RECORDED BY: Marcy A. Klingshirn, CER 6924
19 Certified Electronic Recorder
20 Network Reporting Corporation
21 1-800-632-2720
22
23
24
25

TABLE OF CONTENTS

PAGE

WITNESS: INTERVENOR

DONALD L. TILTON, PH.D.

Direct Examination by Mr. Predko	5475
Voir Dire Examination by Mr. Dykema.	5490
Direct Examination by Mr. Predko (continued)	5492
Cross-Examination by Mr. Dykema.	5546
Cross-Examination by Ms. Halley.	5601
Redirect Examination by Mr. Predko	5604
Recross-Examination by Mr. Dykema.	5610

NOTE: Page numbers may change on final transcript.

EXHIBIT INDEX

PAGE

	IDENTIFIED	RECEIVED
Intervenor's Exhibit 12, Bates 108859-109063 . . . (Wetland Coastal Resource Wetland Delineation Report, 2004)		5543
Intervenor's Exhibit 12, Bates 109250-109260 . . . (North Jackson 2004 Baseline Narrow-Leaf Gentian Survey)		5544
Intervenor's Exhibit 262. (Threatened and endangered species survey report prepared by ECT Environmental)		5544
Intervenor's Exhibit 266. (North Jackson 2007 Report for Narrow-Leaf Gentian investigation)		5545
Intervenor's Exhibit 267. (North Jackson Narrow-Leaf Gentian, 2006 update)		5545
Intervenor's Exhibit 647. (Tilton PowerPoint)		5545
Intervenor's Exhibit 648. (Tilton sketches)		5545

NOTE: Page numbers may change on final transcript.
Full exhibit list for today will be included in the final
transcript.

1 Lansing, Michigan

2 Monday, June 16, 2008 - 8:34 a.m.

3 JUDGE PATTERSON: Okay.

4 MR. PREDKO: Kennecott calls Dr. Donald Tilton.

5 REPORTER: Do you solemnly swear or affirm the
6 testimony you're about to give will be the whole truth?

7 DR. TILTON: I do.

8 DONALD TILTON, PH.D.

9 having been called by the Intervenor and sworn:

10 DIRECT EXAMINATION

11 BY MR. PREDKO:

12 Q Dr. Tilton, could you state your full name and spell your
13 last name for the record?

14 A My name is Donald L. Tilton, T-i-l-t-o-n.

15 Q And where are you employed?

16 A Currently I'm the vice president at a consulting firm called
17 Environmental Consulting and Technology.

18 Q And what's your position there?

19 A I'm the vice president.

20 Q And what are your roles as vice president?

21 A Well, my major primary emphasis is in the ecology and design
22 group. And in that capacity, I oversee all of the natural
23 resources work that's done in the Midwest. We have an
24 office in Florida as well. And by natural resource work, I
25 mean everything from threatened and endangered species

1 surveys, wetland delineations, we do a lot of water
2 resource-related work, we do wetland mitigation, wetland
3 restoration. We work quite a bit for the utility industry
4 as well as other private-sector clients that have, in the
5 course of their day-to-day activities, reason to manage
6 natural resources.

7 Q And do you work with evaluation of impacts on wetlands?

8 A Yes, not just wetlands but also threatened and endangered
9 species. We're called upon by both private sector clients
10 to evaluate projects as well as public sector clients to
11 take a look at projects that are being proposed within their
12 jurisdictions to evaluate impacts.

13 Q I'd like to talk a little bit about your education. Can you
14 tell us about your formal education?

15 A I received a bachelor of arts in biology from Ithaca College
16 in 1970. And then I received a Ph.D. in botany from the
17 University of Minnesota in 1975. My graduate work focused
18 on wetlands, wetland -- in particular, the influence of
19 wetland hydrology and wetland nutrient condition on the
20 growth of a species of wetland tree called the tamarack or
21 *Larix laricina*, its Latin name. And after that, I then came
22 to the University of Michigan where I studied the use of
23 wetlands for wastewater treatment.

24 Q Do you have any certifications?

25 A Yes. I've been certified as a professional wetland

1 scientist by the Society of Wetland Scientists.

2 Q Do you have any publications relating to wetlands?

3 A Yes. I've published in several journals; Canadian Journal
4 of Botany, The British Journal of Ecology, American Midland
5 Naturalist. I've also served as an assistant editor for The
6 Journal of Wetlands, which is the scientific journal for the
7 Society of Wetland Scientists.

8 Q Any other affiliations that are related to the type of work
9 that you've done on this project?

10 A Well, I think besides the affiliation with the Society of
11 Wetland Scientists, the other relevant one is the Society of
12 Ecological Restoration. I've been a member of that. That
13 is an area that I've spent quite a bit of time working on
14 including teaching a course at the University of Michigan
15 and researching and reading what other people are doing and
16 just trying to stay ahead of that -- stay involved in that.

17 Q And I didn't ask you. How long have you been with
18 Environmental Consulting and Technology?

19 A Well, only four years. I joined them -- they actually
20 bought the consulting firm that I was running about four
21 years ago.

22 Q And can you tell us about that consulting firm and prior
23 employment history as it relates to wetlands?

24 A Okay. Well, basically we could start in 1979. After I left
25 the University of Michigan having studied the use of

1 wetlands for wastewater treatment, as I mentioned earlier, I
2 then joined a consulting firm -- actually an architecture
3 and engineering firm, and I was employed in their
4 environmental research division. And what we did basically
5 was prepare environmental impact assessments or whatever
6 environmental study was required as part of their projects,
7 everything from the -- a cemetery here in Battle Creek to
8 the expansion of the CIA headquarters in Washington.

9 In 1996, I guess, I left that firm to create my
10 own consulting firm, which is a much smaller firm that
11 specialized really in wetland delineation, wetland
12 management and watershed protection, and worked in that firm
13 for about eight to ten years. And that was then --
14 somewhere in 2004 or something, 2005, maybe, I sold that
15 firm to ECT, which is where I'm employed.

16 Q And where is ECT located?

17 A Well, we have five offices in Michigan. I'm based in the
18 Ann Arbor office, but we have offices in Traverse City,
19 Lansing, Benton Harbor, Detroit, Clinton Township. They're
20 sort of scattered around. The headquarters is in Florida
21 where they do the same sort of environmental-related work, a
22 lot of ecology. They also do -- in Florida they do a lot of
23 air quality work.

24 Q And do you also live in Michigan?

25 A I do live in Michigan. I live in Ann Arbor.

1 Q How many years have you specialized in the study of
2 wetlands?

3 A Well, including my Ph.D. work, I've been involved since
4 1970.

5 Q And how long have you been studying Michigan wetlands?

6 A Well, since 1975 when I started the work in Houghton Lake
7 studying the use of a wetland for wastewater treatment.

8 Q Now, Dr. Tilton, you were here when a witness testified for
9 Petitioners by the name of Dr. Paul Adamus?

10 A Yes.

11 Q And Dr. Adamus said that his work in Michigan was somewhat
12 limited. What percentage of your work over the last 33
13 years has related to the study of Michigan wetlands?

14 A Well, I'd say about 98 percent of it has been focused on
15 Michigan wetlands.

16 Q Can you give us some examples of studies or projects in
17 Michigan that you have worked on?

18 A I'll try to be brief. But I think one of the best examples
19 was in 1979 I was asked by the DNR at that time before the
20 DNR and DEQ split to do a literature survey of the ecology
21 and values of Michigan coastal wetlands. And this was a
22 document that was basically a literature review that drew
23 upon my experience and the experience of others. And it was
24 used to help justify the Goemaere Anderson Wetland
25 Protection Act. Some of the cases that are most notable, I

1 guess, is I worked with the Department of Justice on the
2 Bayside Riverview case as an expert witness for them on the
3 takings phase of that case. I've also worked with various
4 open mine cases; Tilden Mine in the U.P. when it was
5 asked -- when it went for a permit to expand, I did the
6 wetland work and all of the wetland mitigation work for
7 that. I also have worked in quarries in southeast Michigan,
8 limestone quarries as well as silica quarries, not so much
9 on the quarry itself but the impact of the open pit quarry
10 on wetlands and streams adjacent to it. And then at
11 Michigan Silica, I was asked to prepare where the wetlands
12 and open water systems could be reconstructed as part of the
13 mine reclamation effort.

14 Q Are there any projects that are of note where you have
15 evaluated the effects of groundwater drawdown on wetlands?

16 A Yes. That comes into -- that has come into play in the past
17 when I've been involved in mining. But I'm also currently
18 monitoring the wetlands at the Nestle water -- the bottled
19 water facility near Stanwood. So I'm engaged in this area
20 quite a bit. I'm also -- when I do wetland restoration
21 work, that almost always involves the fact that, during the
22 agricultural drainage period, the hydrology was altered and
23 the wetlands were drained. And part of that restoration
24 effort is to restore those wetlands.

25 Q Now, during your work as a consultant, have you ever been

1 qualified as an expert in other court proceedings?

2 A Yes, I have.

3 Q State and federal court?

4 A Yes, both state and federal court. I've also been asked to
5 serve as a special master on two occasions in cases in the
6 Oakland County area.

7 Q Now, Dr. Adamus when he was here said that he works almost
8 exclusively for public interest groups and government
9 agencies rather than private industry. Can you give the
10 court some idea of the breakdown of your work and your
11 clientele?

12 Q Well, I'd say over the years it's probably 50/50. I've
13 served as the wetland consultant for a township -- West
14 Bloomfield Township that had its own local wetland
15 protection ordinance. But I also served as the wetland
16 consultant to Detroit Metropolitan Airport when they
17 expanded their airport several years ago and needed to fill
18 wetlands that were in the path of the runway. So I've had
19 experience advocating for both types of clients.

20 Q I'd like to talk about the types of materials that you have
21 reviewed in connection with this project. Have you reviewed
22 the mine permit application in this project?

23 A Yes, I did.

24 Q Did you review the environmental impact assessment?

25 A Yes, especially the areas that relate to hydrology and soils

1 and the wildlife section.

2 Q The wetland delineation report?

3 A The wetland delineation report prepared by Wetland Coastal
4 Resources, yes.

5 Q Now, did you review the mine permit itself?

6 A Yes, I did.

7 Q Have you reviewed reports on threatened and endangered
8 species?

9 A Yes.

10 Q Particularly reports related to the narrow leaf gentian?

11 A Yes, I have.

12 Q And have you reviewed the GeoTrans hydrology report?

13 A Yes.

14 Q Have I missed anything else of note that you reviewed?

15 A Well, the only thing that I would add to that list is some
16 of the literature and published articles on topics related
17 to the narrow leaf gentian, for instance, and also some
18 texts on forest hydrology especially as it relates to
19 forested wetlands.

20 Q I'd next like to talk about your specific involvement with
21 the project. When did you become involved?

22 A We became involved in the fall of 2005.

23 Q And what were you retained to do?

24 A We were retained to investigate wetlands, wetland ecology,
25 wetland hydrology and to work on the environmental

1 assessment. The first task we were given was basically what
2 we call a baseline summary where we take a look at the
3 existing work and the existing available information and
4 summarize that.

5 Q And part of that existing information was the reports that
6 are in the environmental impact assessment?

7 A Yes, including the Wetland Coastal Resources wetland
8 delineation report.

9 Q And can you tell me about just in general the kinds of
10 site-specific studies that you did?

11 A Well, after we had reviewed the existing information, we
12 conducted a field visit in October of 2005. And myself and
13 Dr. John Freeland, we went on the property. We met with the
14 engineering team, the other people who were working on the
15 project including the hydrologist. And then we went to the
16 field and were interested in accomplishing a couple of
17 things. First we wanted to get a feel for the ecology of
18 the wetlands that were on the property, their vegetation,
19 soils and hydrology. We also wanted to review the work done
20 by Wetland Coastal Resources to make sure it was accurate
21 and that it accurately reflected the wetlands that we were
22 going to be concentrating on.

23 Q Okay. And did you do that work?

24 A Yes, we did.

25 Q And based upon your review of materials and the

1 site-specific studies that you and your team did at the
2 site, have you formed conclusions in this case?

3 A Yes, I have.

4 Q And have you prepared some demonstrative slides for us to
5 view today?

6 A Yes.

7 MR. PREDKO: And we put up on the screen here --
8 this is Intervenor's proposed 647, this whole group of
9 slides, your Honor. And I put one on the desk for you, too,
10 for your review and have passed these out to counsel.

11 Q Now, Dr. Tilton, could you tell us what we are viewing on
12 slide 1?

13 A Well, slide 1 is basically sort of a four-point summary of
14 work that we did and the results that we found, the physical
15 setting of the wetlands. So, for instance, point number one
16 is that the wetlands are contiguous with each other, but
17 they're also upslope so that some of the wetlands furthest
18 away from the river are actually 12 feet higher in elevation
19 than the Salmon Trout River itself, which is -- it's
20 important to understand that so that we -- because later on
21 we're going to be talking about the hydrology. The other
22 thing is that the wetlands over the orebody and in the
23 vicinity of the orebody are mostly forested and scrub shrub.
24 And forested and scrub shrub wetlands in terms of their
25 vegetation are tolerant of water level fluctuations, more

1 tolerant than, let's say, a wetland dominated by obligate
2 wetland plants. The wetlands over the orebody have a soil
3 profile of 3 to 13 inches or organic matter underlain by
4 silty clay. That's important, because these wetlands are
5 not sort of the classic image that people have of wetlands
6 in the U.P. with the deep peat deposit. These only have a
7 shallow organic matter area, and they've got some sand and
8 gravel in them which is a little unusual for wetlands in the
9 U.P. The key, though, is that there is a silty clay later
10 that underlies the surface and controls and influence the
11 hydrology of these wetlands. And then finally what we
12 observed was that the wetland hydrology is dominated by --
13 or influenced by precipitation and surface runoff, shallow
14 groundwater and deep groundwater. And we observed this
15 walking around on the site. We could actually see water
16 flowing across some areas down to the Salmon Trout River.

17 Q Now, based upon the field work and your expertise in
18 wetlands, did you then form conclusions about the project?

19 A Yes, we did.

20 Q And if we go to slide 2, can you explain your conclusions?

21 A There are three primary ones. The first is that there are
22 some wetlands on the site that are -- their hydrology is
23 dominated by precipitation. That's the source of their
24 water. That's -- the water level fluctuation is influenced
25 by the precipitation patterns. As a result, those wetlands

1 are going to be adversely impacted by any groundwater
2 drawdown, because they don't receive a significant input of
3 water as a result of groundwater. The second set of
4 wetlands are those wetlands along the river. And they also
5 receive hardly any in the way of groundwater inputs.
6 They're really dependent on water associated in the river.
7 And they're not going to be impacted by any kind of
8 groundwater drawdown. And then the final group of wetlands
9 is that there's a group that is dependent on groundwater but
10 they receive so much additional precipitation and surplus
11 runoff that, in our view and during our studies, we don't
12 believe that drawdown -- projected drawdown of the
13 groundwater due to mining dewatering is going to influence
14 the surface hydrology of these wetlands either.

15 MR. PREDKO: Move to the next slide.

16 A The other two are that the narrow-leaved gentian, which is a
17 threatened and endangered species on the site, is a
18 threatened species, but it's very common in this region of
19 the U.P., mainly Marquette County and Baraga County, and
20 that, during the study of the distribution of narrow-leaved
21 gentian, it's tolerant of a wide range of moisture
22 conditions. So any kind of influence of change in hydrology
23 where those populations are, they're tolerant. Because when
24 they did the studies of the distribution of narrow-leaved
25 gentian, we found it growing in wetlands such as the ones

1 over near the mining operation as well as sand and gravel
2 sites. So it's got a fairly wide tolerance of hydrology.

3 And then finally the last conclusion is that the
4 mining permit as issued by the DEQ will protect the wetland
5 ecology and the populations of narrow-leaved gentians
6 through the monitoring and the measurements that we've
7 required to do that the mining company is required to
8 implement during the period of mining.

9 Q And now I'd like to get into a little bit more detail about
10 the bases for your conclusions. And we'll talk about also
11 your field studies and get into detail about how those were
12 done. But before we do that, just a little bit of
13 background on wetlands in general. How does Michigan define
14 a wetland?

15 A Well, wetlands are defined in Michigan through their state
16 statute using wetland vegetation, soils and hydrology. And
17 the first test is to make sure that the wetland -- that the
18 area that you're investigating is predominantly wetland
19 vegetation. It doesn't have to be completely wetland
20 vegetation. There could be scattered upland species mixed
21 in. But it has to be predominantly wetland.

22 Then the DEQ and the state statute as administered
23 by the DEQ requires you to demonstrate one of the following
24 two categories, first that the wetland is either inundated
25 or saturated within 12 inches of the surface for like 15

1 days during the growing season. If it's not -- if it's
2 inundated or saturated within the surface, by definition
3 that's a wetland under state statute. If it's not inundated
4 or saturated, you're then required to look at the soils.
5 Because obviously if you go out and do a delineation
6 sometime in July, you may not see those hydrologic
7 indicators. But if the soils have certain characteristics
8 that make them a hydric soil then, even though there's no
9 evidence of hydrology at the time, the presence of wetland
10 vegetation and hydric soil is sufficient to define a wetland
11 under state statute.

12 Q And do wetlands have functions and values?

13 A Yes, they do.

14 Q Can you tell us about functions and values in general of
15 wetlands?

16 A Certainly. Well, I think they're grouped into sort of like
17 four categories of functions or values. The first is
18 habitat, habitat for both fish and wildlife. There are
19 certain species of wildlife that rely on wetlands in order
20 to complete their life cycle and, as a result, that's
21 perhaps one of the best recognized or known, their value as
22 fish and wildlife habitat. They also have a significant
23 function in terms of the hydrologic cycle in that they --
24 these wetland areas provide storage during precipitation
25 events and flood events. They also in certain wetland

1 systems recharge the groundwater and, as a result, influence
2 the hydrologic cycle and the hydrologic balance in a
3 particular region.

4 They're also recognized in terms of their what we
5 call water quality benefits. But it's basically a
6 biogeochemical function in that certain processes occur in a
7 wetland that change the chemistry of water as it flows
8 through the wetland. And it's recognized now that that can
9 be everything from sedimentation just the fact that, as a
10 silt-laden water hits a wetland and passes through it, the
11 silt is filtered, but it's also being recognized as a
12 special environment that removes organic pollutants that can
13 be in groundwater. And this is being documented now at more
14 and more sites that, as groundwater is flowing through the
15 ground with a contaminant in it, when it hits a wetland as
16 it comes up into a stream, there are biogeochemical
17 processes that occur in the wetland that remove those
18 contaminants. So there's sort of a growing understanding of
19 their value in terms of biogeochemistry.

20 And then the last sort of general category is the
21 aesthetic element. More and more people sort of are
22 beginning to enjoy the aesthetics and recreation of wetland
23 areas whether it's for hunting or photography or just
24 general relaxation and recreation.

25 Q Now, are there factors that determine what functions and

1 values a particular wetland has?

2 A Yes, there are. After there's lots of work on this. But
3 the primary drivers are hydrology, vegetation in wetlands
4 and then what we call the nutrient regime. So depending on
5 whether wetlands are nutrient poor or nutrient rich, they
6 influence the vegetation patterns as well as the functions
7 and values of the various -- that I just went through, the
8 various functions. But hydrology and vegetation -- and
9 there's sort of a chicken and egg discussion going on when
10 we get together to talk about this. Those are the driving
11 parameters that influence the functions that wetlands
12 provide.

13 Q Now, getting to your involvement with this project, you had
14 mentioned that, when you became involved with the project, a
15 wetland delineation had already been done?

16 A Yes.

17 Q And it was the wetland delineation done by Wetland Coastal
18 Resources?

19 A Yes.

20 MR. DYKEMA: Excuse me, Chris. Your Honor, before
21 we get into Dr. Tilton's testifying to the bases for his
22 opinions, may I be indulged to voir dire?

23 JUDGE PATTERSON: Sure.

24 VOIR DIRE EXAMINATION

25 BY MR. DYKEMA:

1 Q Dr. Tilton, I believe you said that you reviewed existing
2 wetland delineation work and other materials that had been
3 prepared for Kennecott prior to your involvement; is that
4 correct?

5 A Yes.

6 Q Have you yourself or has your firm under your direction
7 authored any reports on the wetlands in the area of the mine
8 site?

9 A We have. We prepared a report that was included in the
10 environmental assessment on the wetland functions, their
11 characteristics, vegetation, hydrology and so on.

12 Q Can you identify the section of the environmental -- that's
13 Kennecott's environmental impact assessment?

14 A Yes. I'll hazard a guess that it's section 3. But I can't
15 give you the exact number.

16 Q Okay. So in the environmental impact assessment, sort of
17 the overview document, there is a section that discusses the
18 wetlands questions and some of the underlying materials, and
19 that is what you or your firm authored?

20 A Yes; that's correct.

21 Q And is that the summary document that you referred to when
22 Mr. Predko was asking about your initial involvement in the
23 case?

24 A Well, I think what Mr. Predko was asking me was what
25 information did I review prior to preparing the segment for

1 the environmental assessment that was based on the
2 information we reviewed plus our own field work.

3 MR. DYKEMA: Thank you for indulging me, your
4 Honor. Thank you, Chris.

5 DIRECT EXAMINATION

6 BY MR. PREDKO: (continued)

7 Q Dr. Tilton, we were talking about the wetland delineation
8 work that had already been done when you became involved on
9 the project and specifically referred to Wetland Coastal
10 Resources' 2004 wetland delineation report. Now, did you
11 review that report?

12 A Yes, I did.

13 Q And have you relied on that report?

14 A Well, we have.

15 Q And just in general, what methods were used to delineate
16 wetlands by Wetland Coastal Resources?

17 A Well, they followed the state method. They inventoried
18 wetland vegetation, the plant species that occurred in the
19 wetlands. And they made notes of that. They then also made
20 notes of the soil and they made notes of the hydrology.
21 Then they went out and flagged those -- what we call
22 flagging the edge of the wetland. Once you determine where
23 the boundary is between the wetland and the upland, you hang
24 a flag of various colors. Everybody uses a different color
25 depending on what the firm is. And some of us use a flag

1 called a wetland -- it says "wetland boundary" right on it.
2 And then they generated a report that recorded all of that
3 information.

4 Q And is that procedure a standard procedure amongst wetland
5 experts?

6 A Yes, it is.

7 Q And as part of that report, they did a map of the wetlands?

8 A Yes.

9 Q And I've put up on the screen here what is Figure 3.4 to the
10 Wetland Coastal delineation report. And are you familiar
11 with this wetland map?

12 A Yes, I am.

13 Q And, Dr. Tilton, in connection with your site-specific
14 studies, did you independently confirm results that Wetland
15 Coastal found?

16 A Yes, we did. And in particular where we confirmed it was in
17 this area right in through here (indicating). We didn't get
18 an opportunity to visit wetlands in this area. But this is
19 the spot that we concentrated on from this county road south
20 to about here. So we looked at these particular wetlands
21 and looked to confirm in particular the wetland boundaries
22 that are right here to make sure that that, in fact, is
23 upland and this is upland and that this work was done
24 correctly throughout this area.

25 Q And when you say "right here," for the record, can you

1 identify those wetland areas by the numbers that are on this
2 map?

3 A Yes. It's basically north of the number 6 and north of the
4 orebody and a little bit west between the numbers 8 and 9
5 and the orebody and the number 6. So it's this area right
6 in here (indicating).

7 Q Okay. And just generally, as far as wetland types, what did
8 you find in that area?

9 A Well, there are three wetland types. There are forested
10 wetlands, especially in the area up in through -- in the
11 northern part of the study area. There are scrub shrub
12 wetlands, wetlands that are dominated by tall shrubs or
13 small trees. And then right along the river in a band right
14 along the river there are emerging wetland areas or wetlands
15 that have their -- mostly herbaceous with leaves that stick
16 up out of the water or stick up out of the ground, but
17 there's no woody vegetation in an emerging wetland -- no
18 dominance of woody vegetation.

19 Q Were you able to form an opinion as to the accuracy and
20 thoroughness of the Wetland Coast report?

21 A Yes.

22 Q And what is your opinion?

23 A Well, my opinion is that it's a good and accurate
24 description of the wetlands as well as the vegetation. In
25 fact, in this particular area, we were able to identify

1 their -- not only identify their own flagging that was still
2 in the woods, but we agreed with little islands of upland
3 that I'm illustrating right here with the pointer that are
4 located just west of the orebody. To us, that demonstrates
5 that they're doing careful work trying to make sure that
6 they understood the wetland boundary. A lot of people would
7 have just marked the outside edge of this larger wetland and
8 not gone in to delineate these little upland areas. So it
9 was an accurate delineation.

10 Q And your point was the fact that they specifically
11 identified the little islands that it was your impression
12 that they did a thorough job?

13 A Yes. And the fact that we could still see the -- their peak
14 flagging, that they had left in the field. And we agreed
15 with where they were drawing the line.

16 Q Now, when you did your site examination -- well, let me back
17 up. Dr. Adamus testified when he was here that he spent a
18 few hours on the site. When you and your team did your site
19 investigation, how much time did you spend on the site?

20 A Well, we spent two days on the site and another day meeting
21 with the other team members understanding the mining
22 project, where the hydrology was being monitored and what
23 other studies were underway.

24 Q And is a thorough site examination important in your
25 opinion?

1 A Yes.

2 Q And why is that?

3 A Well, it's important because all wetlands are a little bit
4 different. And they can even be different within -- if you
5 look at a map such as this, while that looks like it's all
6 one wetland type, there can be differences in soil and
7 hydrology. So it's important to spend some time digging
8 soil borings, understanding what the season hydrology is and
9 getting your monitoring system set up so that you're
10 collecting accurate data so that you can make sure that you
11 understand how the wetlands function.

12 Q And you indicated that your site investigation was focused
13 in a certain area generally around the orebody. Why was
14 your study focused?

15 A Well, we were -- although we spent some time down along the
16 county road and up in through here, the reason we were
17 focused in this particular area was this was going to be the
18 sort of the center of mine activities as we understood it in
19 terms of the drawdown, in terms of the development of the
20 ore, the mine itself. Even though the entrance to the mine
21 was going to be off the wetland proper, the fact that the
22 activities were going to be underneath the wetland, that was
23 really where we thought we needed to focus our work.

24 Q And before we talk about the actual studies that you did,
25 can you tell me about the condition of the wetlands? And

1 these are the headwaters of the Salmon Trout?

2 A Yes.

3 Q Have these wetlands been affected by any human or natural

4 disturbances?

5 A Yes. There are some signs of disturbance. But it's

6 important to understand that these wetlands are in pretty

7 good condition. They're not pristine or virgin. There have

8 been some roads laid in it. It has been logged. I think

9 there's been some past fire. We saw some indications of

10 past fire in those zones. But they're in pretty good

11 condition.

12 Q How about effects from beaver dams?

13 A Yes. The Salmon Trout River, when you look at aerial

14 photographs, you can see dams across the river. And the

15 effect of a beaver dam is to change the hydrology of the

16 emerging wetlands on the edge of the river.

17 Q Now let's talk about your studies at the site. And one of

18 the things that you studies was the wetland vegetation

19 types?

20 A Yes.

21 Q Okay. And I believe that you prepared some slides to

22 illustrate what you found?

23 A I have. If we could see one of those, that would --

24 MR. PREDKO: And put slide 4 up on the screen

25 here.

1 Q And can you tell us what that slide depicts?

2 A Well, this is a good slide -- it's sort of a typical
3 condition of one of the wetland areas adjacent to where the
4 upland areas right in that area near the orebody. So you
5 have a forested wetland right here (indicating) with wetland
6 vegetation. You notice that it's mostly trees and shrubs.
7 And actually right there you can see one of the wetland
8 flags hung by Wetland Coastal Resources. You'll notice that
9 this wetland doesn't have any standing water in it. This is
10 not sort of like your classic northern hardwood forested
11 wetland that is inundated in the spring and fall. In fact,
12 the wetlands in this particular study area rarely have any
13 surface water in them. And this is borne out by the
14 hydrologic data that we're going to show you in a little
15 white. Notice also that the species of vegetation here are
16 mostly facultative or facultative wetland species, which
17 means that they are capable and frequently do grow in upland
18 settings up to a third of the time in the case of a
19 facultative wetland species and up to two-thirds of the time
20 in some of the facultative species. So you can find red
21 maple growing in a upland area just as much as you can in a
22 wetland area.

23 Q Can you tell us about some of the dominant species in the
24 forested wetland areas?

25 A Yes. Well, you can see some of them here. Red maple,

1 tamarack, we saw a lot of balsam poplar, quaking aspen, all
2 good wetland tree species but wetland tree species that are
3 going to actually respond favorably to changes in water
4 level. In fact, when I was doing my research on tamarack
5 during the drought of the Great Depression, the drought of
6 the 30's, when I looked at tree rings, the tamarack actually
7 doubled their growth rate during the drought of the 30's.
8 So the reason I bring this out is because this says a lot
9 about the tolerance of this wetland to water level
10 fluctuations in terms of its resistance to invasive species
11 and its resistance to die-back as a result of natural
12 vegetation due to hydrology.

13 The second slide shows the emergent wetlands along
14 the Salmon Trout River. These are dominated by sedge, but
15 there's also quite a bit of fowl mannagrass grass,
16 Calamagrostis. Some of -- you can also see the forested
17 wetland in the background here and the little bit of thing
18 in the corner here is tamarack. It's a conifer that loses
19 its needles in the fall. That's how you can tell that.
20 This wetland type is a little bit more sensitive to changes
21 in water level fluctuation when it's along the river. And
22 there's very little water level fluctuation due to the
23 steady flow of water in this area. It's more prone to
24 the fact that a beaver dam might be built downstream or be
25 abandoned and open up than it is to the groundwater drawdown

1 caused by the mine.

2 Q And as far as location, you have already said this, but
3 where are these types? Is this closest to the orebody?

4 A This wetland type is alongside the river south of the
5 orebody, so the orebody is set back off the river a couple
6 of hundred feet in terms of geographic position. And then
7 these wetlands occur along the band of the river.

8 Q Are any of the species that we see in these -- in this
9 picture tolerant of different moisture conditions?

10 A Yes, they are. The shrubs are facultative wet. This trees
11 -- this tamarack is a facultative wetland species. The
12 sedges are considered obligate, but they -- the fowl
13 managrass, which is the other co-dominant in this wetland
14 system is also tolerant of wetland hydrology changes.

15 Q Okay. And you've been using the terms "facultative" and
16 "obligate." Can you give a little bit of explanation of
17 what those terms mean?

18 A Yes, I can. I apologize. Basically when the wetland
19 regulations were put forth, the U.S. Fish and Wildlife
20 Service generated a list of wetland plant species. And they
21 ranked those plant species according to their propensity for
22 being found in a wetland. Obligate wetland plants are found
23 in wetlands 99 percent of the time. Facultative wet plant
24 species are found in wetlands two-thirds of the time, but
25 you can also find them in upland settings. And then

1 facultative wetland species such as red maple are considered
2 to be found sort of in a wetland up to a third of a time,
3 between a third and two-thirds of the time.

4 The reason they did this is so that, when
5 you're -- if you're sort of -- you've identified a plant in
6 the field but you don't know whether this is a wetland plant
7 or not necessarily -- you might be able to make its
8 identification but you don't know, for instance that
9 tamarack can grow in uplands just as well as it grows in
10 wetlands, so they were trying to give some guidance to the
11 wetland delineators as they go through and do the process.

12 There are shades and nuances. In other words, you
13 can facultative wet plus and facultative wet minus. You can
14 also have some debates as to whether some plants are
15 considered obligate and whether we can see them growing in
16 upland conditions and so on. It's a -- but it's a great
17 tool. It's very useful. And it helps us understand the
18 hydrologic tolerances of these plant species.

19 Q Okay. Now, Dr. Tilton, did you work with some of the
20 hydrologists or hydrogeologists on this project?

21 A Yes, we did.

22 Q Okay. And did you do an evaluation of the slope or
23 topography of the wetlands in connection with your work with
24 the hydrologists or hydrogeologists?

25 A Yes; yes, we did.

1 Q And can you tell us what we see in slide 6?

2 A Well, I want to just -- I produced this slide so that you
3 could -- we could focus for a moment just on the piezometer
4 locations that really show something about the hydrology of
5 these particular wetlands adjacent to the orebody and
6 adjacent to the Salmon Trout River. This is actually a
7 blowup of the large piezometer location map. But it shows
8 the wetland piezometer 29 up here in the very -- this is the
9 northern -- this is north to the top -- the northern limit
10 of the wetland, wetland piezometer 28, 27, 26 down along the
11 river, 23, 26 and 25. It also shows the location of 43 and
12 44. So that you get an idea of the horizontal spacing and
13 the geographic spacing of these wells within the wetland
14 complex.

15 Q And Dan Wiitala offered testimony in this case last week.
16 Is he the person that you worked with in connection with
17 these wells?

18 A Yes, he is. Dan and I worked closely trying to -- he's the
19 hydrologist. I'm the sort of wetland ecologist. And we
20 worked closely together to understand where to put these
21 wells to get a good record of the hydrology of these
22 particular wetland complexes.

23 Q And I believe you prepared some graphs to show the slope or
24 topography that exists in these wetlands?

25 A Yes.

1 Q And we're looking at slide 7. Could you tell us what this
2 shows?

3 A Well, what this is is, if you remember the previous slide,
4 this is a graph that just illustrates the vertical position
5 of wetland 29 going down to 27 and then down by the river --
6 the wells down by the river. And remember in the
7 previous -- when I showed you the conclusions, I was trying
8 to make the point that this wetland system has quite a bit
9 of slope to it. It's not dead flat. But it has up to 12
10 feet of slope as you go from the northernmost wetland limit
11 down to the river. It's about 1,000 feet. It drops in this
12 particular case along this transect, it drops -- what? -- 11
13 feet or something -- 12 feet.

14 Q Okay. Maybe if we go back to slide 6.

15 A Yeah. That would be fine. Here's the wetland well 29, 27
16 and 26 down to the river. And, you know, the widespread
17 notion that the wetlands are flat, we wanted to try to get
18 an understanding of how much the ground was falling over
19 that distance from 29 to 27 to 26. And this next slide,
20 then, illustrates that. Here's the ground surface. And
21 then these are the wells.

22 Q Okay. And you've done a similar exercise with some of the
23 other wells on slide 8?

24 A Yes.

25 Q Can you tell us what this shows?

1 A On slide 8, this shows the same sort of pattern from 28 to
2 44 to 43 and then down to the river at 25.

3 Q If we back up to slide 6 again, can you tell us what the
4 graph is showing us about the area and what area we're
5 talking about?

6 A Yeah. It goes from 28 located right up here in the northern
7 limit of this other little wetland arm. Before we were in
8 this little wetland area. Now we're in this little wetland
9 arm. And it goes down to 44 and 43 and then to 25. And the
10 point that -- go to that slide where that's illustrate. The
11 point is that the ground is sloping -- the ground surface
12 here is sloping as it goes down to the river. And this has
13 -- as we see later, this has a significant -- it's a
14 significant feature of these wetlands that bear a lot on
15 their hydrologic functions.

16 Q Now, the next area of study was your study of the soil
17 conditions in these wetlands?

18 A Yes.

19 Q If we go to slide 9, you've prepared a slide to show the
20 various profiles in the wetlands. Can you tell us what you
21 found?

22 A Yeah. What this slide is illustrating is it's sort of a
23 summary of maybe 30 or 40 soil borings that we dug in the
24 wetland complex during our days that we were there. And it
25 summarizes those findings. Basically we dig the soil boring

1 4 feet deep, and we make note of what we're observing. But
2 we also list the dominant vegetation and then the soil
3 profile and whether there was any -- what sort of wetland
4 hydrology we observed. The key here that I want to point
5 out is that, notice that in the forested wetland dominated
6 by forested wetland vegetation, that there's only a thin
7 band of black mucky sand or what you consider to be a muck
8 soil, the typical sort of wetland soil. Then at this
9 particular area, there's actually sand and gravel for about
10 12 inches and then finally this silty clay. And what this
11 silty clay or silty loam acts as is a permeable layer that
12 underlies this wetland. The silt and clay is very slow
13 infiltrating. The water moves through it very, very slowly.
14 So what tends to happen is that the water accumulates on top
15 of that silty clay layer. And we'll see this in a couple of
16 other slides later on in my testimony. In the scrub shrub
17 area because sometimes soils change when you move to wetland
18 types, we encountered some of the same soil profile, just a
19 thin layer of mucky sand, the sand and gravel and then the
20 silt loam at 12 to 20 inches.

21 And then finally down by the river where the
22 emergent wetland vegetation was, now we start to pick up a
23 little bit more mucky material, 0 to 10 inches, and the sand
24 sort of disappears. We find mostly silt in that soil
25 profile. But even then there's still the silt below the

1 sort of organic horizon.

2 And if we go the next slide, you can see what we'
3 talking about and the influence of this. This -- right here
4 Dr. Freeland is holding the silty loam. And what we do is
5 it's called a ribbon test. You rub it between your fingers.
6 And if it forms a ribbon, then it's considered to have a
7 certain proportion of silt and clay. And you can see it
8 held in his palm there. You can get an idea of like it's
9 almost modeling clay. It gives you an idea of how
10 impermeable it is.

11 And then to illustrate that point, this area right
12 here, this is where the silty clay is on the surface. And
13 you can see the water pooled on the surface of the silty
14 clay. And, in fact, in some spots while we were standing
15 there, it was actually flowing across this zone and going
16 off the slide.

17 And then finally just to put it in reference to
18 show you the forested wetland character in which we were
19 finding this soil profile, I've included this photograph
20 down here in the right corner.

21 Q Now, the methods that you and your team used to evaluate the
22 vegetation types and the soil profiles, are those methods
23 that are generally accepted within your area of study?

24 A Yes. They are the methods that are described in the
25 Michigan Department of Environmental Quality wetland

1 delineation manual as well as the Army Corps of Engineers
2 delineation manual.

3 Q And that would include the ribbon test?

4 A It would in order to determine the soil texture, physical
5 character of the soil, yes.

6 Q And the next area that you studied while at the site would
7 be the hydrology?

8 A Yes.

9 Q Okay. And what did you do to study the hydrology?

10 A Well, we actually made our own observations. During the --
11 if you go back to the previous slide, we made our own
12 observations about whether the -- where the soil water was
13 on the site. And notice on these characterizations here
14 that nothing is inundated. The one spot that we found
15 standing water was actually an area where the soil had been
16 scraped off. But as I mentioned earlier, these wetlands
17 don't have standing water in them. The forested and scrub
18 shrub wetlands don't. And with that, we then went back and
19 we also looked at the monitoring well data.

20 We -- if we can go forward a little bit, I'll show
21 you what I mean by that. We looked at the water level data
22 that was being collected in the piezometers. And Dan
23 Wiitala of the North Jackson Company was in charge of
24 collecting that data. And the data that he collected was
25 shared with us, and then we sort of evaluated what the

1 wetland hydroperiod was doing. Now, by "hydroperiod," what
2 I mean is the sort of seasonal pattern of water level in the
3 wetlands, the frequency and duration of inundation. And
4 when we looked at the wells, we basically find that there
5 are two different hydroperiods among the wetlands, that the
6 wetlands furthest north from the -- or upslope from the
7 river have a seasonal water level fluctuation versus the
8 water levels in the wetlands alongside the river, what we
9 call the riparian wetlands.

10 If we go to the next slide, you can get an idea of
11 what I mean by "relatively stable." There are three wetland
12 piezometers illustrated on this graph. Wetland 25, well 23
13 and well 22. And you can see here that, on the left-hand
14 side, this is feet. So it's 1416.5 and .0. So this is only
15 6 inches of fluctuation. And notice that we go from January
16 to December on this particular slide. And you notice that
17 there's a little bit of drawdown during the winter but that,
18 during the growing season, this is sort of dead flat. There
19 might be a 1- or 2-inch water level fluctuation going on in
20 that well. On wetland 25 there's also the same pattern.
21 This is generally flat and there's very little fluctuation.
22 And then similarly except for this one little dip in August,
23 the same pattern.

24 If you contrast that, though, with the wetland on
25 the next slide with the wetland water levels for what we

1 call the precipitation dominated wetlands or the upslope
2 wetlands, notice that this is the same period of record,
3 January to December. But look at the water level
4 fluctuations. The spacing is still 6 inches. But these
5 water levels start out in the spring at around 1420 and then
6 drop 2, 2-1/2 feet during August. And then a precipitation
7 event brings them back up to about where they were in the
8 spring.

9 Q If we back up to slide 6, where are the wetlands that you
10 just explained?

11 A Yes. That's a good point. Wetland 25 and 23 are right down
12 here alongside the river. You can see 25 right here near
13 the orebody, 23 a little further downstream. Wetland 22,
14 the third well, is actually down -- upstream in sort of what
15 we consider like a control area. And we were picking up
16 data there. It's a well near the river, though, in a very
17 similar position as wetland 25 and 23.

18 Q And that was that first graph that showed that the levels
19 were fairly constant?

20 A Fairly stable, yeah, hardly -- no more than 3 to 6 inches of
21 fluctuation throughout the year. The second slide, the one
22 that had 2-1/2 feet of water level fluctuation includes
23 wetland 28 and 43. Notice that 43 is in the wetland area
24 right over the orebody and that 28 is north of the orebody.
25 And those were the wells that had 2-1/2 feet of fluctuation.

1 Q I think we left off, you had described slide 12. And can
2 you tell me what the next slide, slide 13, shows?

3 A Well, slide 13 shows this distinct difference between the
4 wetlands down along the river, which are -- got a fairly
5 regular and steady supply of water, versus these
6 precipitation dominated wetlands. There is something going
7 on right about in July and August. And what's going on here
8 is that it's not so much that the precipitation declines,
9 although it does a little bit. What really goes on is that
10 this is when evapotranspiration starts to occur in the Upper
11 Peninsula. Evapotranspiration is the process of losing
12 water through evaporation off the soil surface and also out
13 of the vegetation through the process of transpiration. So
14 precipitation in the U.P. exceeds evapotranspiration. But
15 during the summertime, evapotranspiration exceeds
16 precipitation and, as a result, you end up with that pattern
17 right there (indicating).

18 There's also one other thing that's observable
19 here that's kind of interesting which is, during the winter
20 when all the precipitation is in the form of ice and snow,
21 you can see that the groundwater is actually -- the water
22 level is dropping in the wetland but that's because the
23 natural process of water seeping out the bottom of the
24 wetland isn't being made up by precipitation. You don't see
25 that so much through here (indicating), because there's

1 enough precipitation falling to make up for that difference.
2 And then you'll see in a little bit -- I'll show you the
3 pattern of water level, and then we're going to overlay
4 precipitation patterns on this. And you'll get an idea of
5 why these things are peaking and why the valleys are
6 forming.

7 Q Okay. And -- but before we do that, you did a comparison of
8 these graphs that we were looking at -- comparison of the
9 two types of wetland hydroperiods in slide 14?

10 A Well, again what we've done is the two previous slides we've
11 just put them on the same slide so that you can really --
12 this really does illustrate the differences between these --
13 not different wetlands, because it's all one big contiguous
14 wetland but that, within some parts of that wetland, the
15 hydrology is like this (indicating), namely the upslope
16 areas, and then in other part of the wetland, the hydrology
17 is like this (indicating). Very little variation, very
18 little influence of the evapotranspiration compared to the
19 slides -- compared to the wetland area that's dominated by
20 precipitation.

21 Q And you did mention you wanted to show what was happening
22 with precipitation as the level of the moisture in the
23 wetlands goes up and down. And if we go to slide 15, what
24 do we see here?

25 A Yeah. Well, this is a good example of what we mean by

1 precipitation dominated wetlands. Remember that, as we --
2 again to orient you, this is precipitation in inches over
3 here. So that's a 1-1/2 inch rainfall, that's a 1-1/2 inch
4 rainfall, and that is more like 4-1/2 inches of rain. On
5 this axis is the actual water level at this particular well.
6 And what we've done is we've -- to illustrate this issue,
7 we've just included wetland piezometer 28. So again the
8 same pattern going down, slowing, dropping during the
9 winter. But when with the spring thaw, this water level
10 recovers. This line going across the graph is the ground
11 surface at WLD028.

12 Q And if we can just flip back to slide 6 to orient everybody.
13 WLD028 is where?

14 A Right there (indicating).

15 Q Okay. And this is --

16 A It's about 800, 1,000 feet away from the river.

17 Q This is one of the upslope wetlands?

18 A One of the upslope wetlands, what we call the precipitation
19 dominated wetlands.

20 Q Okay.

21 A So right here is the spring melt when all the ice and snow
22 turns to water and the water level comes back up as you
23 would expect. Notice, however, again just to sort of
24 reemphasize this point, that the water level isn't a foot
25 deep in the wetland. It's right at the surface. Then the

1 precipitation is kind of normal for the U.P., but it -- the
2 evapotranspiration is really working to draw this water
3 level down. Then generally what happens in the fall -- it
4 usually have to be one event like this. But in this
5 particular case, they got a big rainstorm, and this wetland
6 came right back up to its pre-spring water levels.
7 Generally speaking, this pattern is very common. But it's
8 not as abrupt, because there's usually a combination of
9 things going on. Typically in the fall you get more
10 precipitation but the evapotranspiration shuts down because
11 the temperatures are cooling off and the wind isn't -- it
12 doesn't have much influence on the vegetation. But that is
13 very often a very common pattern of what we consider in a
14 forested wetland to be a hydroperiod, the frequency and
15 duration of inundation.

16 Q And so what this shows is that this upslope wetland area is
17 dominated or dependent upon precipitation?

18 A Yes, it does.

19 Q And if we move to the next slide, can you -- this is a for a
20 riparian wetland on the site. And can you tell us what is
21 different about the riparian wetland?

22 A Well, take a look at this slide. Again this is
23 precipitation. This is the same pattern of precipitation on
24 the previous slide. But this is the water level data from
25 the monitoring well 25, which is down by the river. Notice

1 first of all it doesn't have the decline in January. It
2 doesn't have the recharge in the spring. And it doesn't
3 have the dip that usually occurred in the precipitation
4 dominated wetlands. Because as the -- it's not that the
5 evapotranspiration isn't occurring, because it is. It's
6 just that it's being made up for the tremendous amount of
7 groundwater and river source of water coming into these
8 wetland complexes. But notice also that, even this wetland
9 does not go above the ground surface. Here's the ground
10 surface right here (indicating). This is not -- it doesn't
11 have a foot of water in it in the spring. And that speaks
12 to the functions and values of this particular wetland as to
13 what type of wildlife will use it and what its value is in
14 that regard.

15 Q Now, when Dan Wiitala, the hydrologist, testified last week,
16 he was able to characterize the wetlands in the area as
17 precipitation dominated or groundwater dominated or riparian
18 or wetlands relying on the river for their source of water.
19 And if we go to slide 17, this was introduced and admitted
20 in Mr. Wiitala's testimony. Can you tell us what his slide
21 shows first?

22 A Well, just to orient you again, this is the area that we've
23 been talking about. Here's well 29, 28. There's 43,
24 there's 25 -- I think that's 25. There's 23 and there's 22.
25 What he's added to this particular slide is sort of a line

1 that depicts the precipitation dominated wetlands in the
2 blue, the groundwater dominated wetlands in the tan and then
3 the riparian wetlands right along the edge that are
4 influenced by the river water level.

5 Q Okay. And did your studies confirm what Mr. Wiitala
6 characterized here on this slide?

7 A Yes. We sort of independently developed the same sort of
8 idea; the same process plus the same sort of demarcation of
9 where that line occurs within this wetland complex.

10 Q And this is an overhead view of the wetland types. I think
11 it would be helpful if you could show us -- maybe draw a
12 diagram of a landscape view of the wetlands in the area of
13 the orebody.

14 A Okay.

15 Q There should be a pen up there?

16 A Yup. If I draw a cross-section through this area that we're
17 depicting -- let's say we start up here (indicating) like
18 this. I'm exaggerating the scale, obviously, because this
19 is 1,000 feet or those and that's about 12 feet. But as we
20 work this -- as you work this zone, even though the land is
21 falling, there is -- there are several layers depicted here.
22 And remember that I told you that there's sort of a silty
23 clay layer that underlies this wetland system. And then
24 there's a zone that if we expand this out, there's a layer
25 of organic matter. And then there's a layer of sand and

1 gravel. All right. Now, in some spots there are -- this
2 water level, then, that we've observed lays down like this
3 (indicating). And you remember on this particular slide
4 there are some areas where there isn't any wetland; it's
5 upland. That's because this -- the land has got some
6 topography to it. So if there's a hump in the land, you can
7 actually get upland vegetation growing on this because the
8 hydrology is not close enough to the surface to create
9 wetland. And then down here is the river.

10 Now, notice that the groundwater flow in this
11 surface zone is down towards the river. So you have
12 precipitation inputs, and then during the summertime you
13 have loss. But it's always the surplus water, instead of
14 accumulating on the surface, it's flowing in this surface
15 above the silty clay and recharging and becoming dominating
16 and influencing the wetlands that lay down here. Does that
17 help illustrate it?

18 Q It does. Thank you, Dr. Tilton.

19 Q Next I'd like to move to the area of the predicted
20 groundwater drawdown and potential effects on the wetland
21 areas. Now, Dr. Tilton, you testified that you reviewed the
22 GeoTrans Report that predicted groundwater drawdown in the
23 area?

24 A Yes, I did.

25 Q Mr. Council testified last week here about that report. And

1 if we move to slide 18, this was a slide that was admitted
2 during Mr. Council's testimony. And this slide was Mr.
3 Council's worst-case drawdown scenario. Do you remember
4 that in Mr. Council's report?

5 A I do.

6 Q And this slide, as far as water drawdown and its location on
7 the wetland, could you tell us, well, first of all what this
8 slide predicts as far as water drawdown near the wetlands,
9 and then tell us whether you believe that drawdown will
10 affect or impact the wetlands?

11 A Okay. The -- in terms of the impact of the drawdown, the --
12 Greg Council, GeoTrans, draws these lines of drawdown. So
13 there's (indicating) .5; there's 1, 1 foot of drawdown right
14 there. This line -- that little area right there is two
15 feet of drawdown, and this is also a little two-foot -- or --
16 - yeah, two foot. Get my glasses on to make sure here.

17 Q Yes.

18 A Yeah. So that gives you an idea of what the model was
19 predicting. To orient you, in case you're a little
20 confused, this is the wetland area right here (indicating).
21 The purple is the precipitation-dominated wetland. There's
22 wetland 28, the monitoring well 28. There's wetland
23 monitoring well 43, and there's wetland monitoring well 25.
24 The light green are the riparian wetlands. This is the
25 groundwater wetland. So the first thing you'll notice is

1 that the precipitation-dominated wetland is in an area of
2 drawdown of about a foot. Well, because they're dominated
3 by precipitation there won't be any impact at all there.
4 There's no significant impact compared to the existing
5 hydrology. The groundwater is not a significant influence
6 on that wetland, so therefore changes in it at depth below
7 the active biological zone aren't going to be discernible.
8 There would be no significant impact.

9 Q And in general that's true. Dr. Adam has agreed, when he
10 was here, that precipitation-dominated wetlands are not
11 affected by groundwater drawdown.

12 A That's true; yes, I recall that. There is an area where the
13 groundwater impact -- the groundwater-dominated wetland will
14 be influenced by a drawdown curve, the .5, the 2-foot line,
15 the 1-foot line come together right down in here
16 (indicating) alongside the river. The reason I don't think
17 that that will have a significant impact is that there is
18 still this process going on. And if I could go back to my
19 flip chart here, what we're describing -- what GeoTrans is
20 describing is that the groundwater level that they observe
21 in this silty clay layer right there is expected to go down
22 half a foot, a foot; let's say two feet at the maximum. But
23 the reason I don't think that's going to be a significant
24 impact on this particular wetland is, number one, the
25 vegetation. But number two, there's so much surplus

1 precipitation flowing down through this area making up for
2 the water that might be lost as a result of the drawdown
3 from the de-watering operations, that I don't believe you're
4 going to see a significant change in this water level in
5 this particular wetland.

6 Q Now, does the natural drawdown, seasonal drawdown that
7 occurs in the area give any support to your opinion?

8 A Yes, it does. I mean, if we go back and think about what
9 the -- if we can go back to that slide that compared the two
10 -- I think it was 14, perhaps? That one right there
11 (indicating). Here we are up in the precipitation-dominated
12 wetlands, and we don't think there's going to be any impact
13 of the drawdown up there. But right here you can see that
14 the reason this is so flat through the growing season,
15 there's so much surplus water flowing in the -- from the up-
16 slope position that it's enough to make up for this drop.
17 These wetlands don't get significant amount of water from
18 the up-slope position; they don't get a lot of surface
19 groundwater flowing into them, so you see the drawdown.
20 These (indicating) are receiving so much surplus water on
21 the way down to the river that they don't drop at all during
22 the summertime. That's why a little bit of groundwater
23 drawdown, about a foot or so in this particular zone, is
24 mitigated by the fact that there's so much surplus water
25 flowing down through here in the shallow zone of sand and

1 gravel and the shallow organic layer in that soil.

2 Q It's been suggested by Dr. Adamus that these wetlands are
3 particularly sensitive. Do you agree with that?

4 A I don't agree with that.

5 Q And why not?

6 A Well, I agree that wetlands -- certain types of wetlands are
7 tolerant and certain wetlands are intolerant of small water
8 level changes. If I could go to the flip chart, I'll give
9 you an example of what I mean. Where we -- as wetland
10 ecologists, where we see this quite a bit is either in a
11 vernal pool or along the Great Lakes shoreline. That's
12 another good example. But I'll show -- I'll draw a vernal
13 pool. A vernal pool is basically a pool, growing in a
14 forest area almost always, that has water in the spring.
15 And then it dries up usually to just a puddle by July or
16 August. And as a result, this -- so this (indicating) is
17 April and this is August, let's say. And this is where the
18 wetland water level used to be. Now, the two- to three-
19 centimeter difference is that --

20 Q Doctor, when you say "two- to three-centimeter difference,"
21 Dr. Adamus testified that he believed the two-centimeter
22 change in water level promotes domination by invasive
23 species. Is that what you're referring to?

24 A Well, actually, I'm just going to illustrate first how two
25 or three centimeters changes the vegetation pattern in the

1 vernal pool, and then we'll talk about invasive species.

2 Q Okay.

3 A 'Cause there's some other factors that need to be thrown
4 into that. If this is April -- and by the time you get to
5 August, what starts to grow in August are a bunch of annual
6 plants. By "annual plants" I mean things like stick-tight
7 and bidens and that sort of thing. They're annual because
8 they -- we call them annual because they grow from seeds
9 each year. And in order for them to germinate, they need to
10 have the water gone from the pool. And so what usually
11 starts to happen is, as the water level drops through the
12 years, you'll start to get vegetation on the edge. And
13 sometimes you'll actually have persistent vegetation on the
14 edge like cattails. And then the annuals will form. Well,
15 if you have a wet year, for instance, so that instead of
16 it drying out it stays wet, this annual vegetation won't
17 germinate. So in that particular year you'll never get the
18 vegetation of bidens and stick-tight and all that annual
19 vegetation to grow. If it dries out prematurely so that
20 there's, let's say, instead of April there being a foot of
21 water, now suppose there's only six inches of water. Now
22 you have all this exposed mud flat right here (indicating)
23 that's available for species to start to germinate or
24 colonize. In this particular case, two or three centimeters
25 really does have an influence.

1 Q When you say "this particular case," you mean the case of a
2 vernal pool?

3 A In the vernal pool. Or if you can imagine the Great Lakes
4 shorelines, the same sort of thing. If the water level is -
5 - well, compared to what they were, let's say, eight years
6 ago when the water levels were up, everybody buying Great
7 Lakes shoreline had a lake right at the edge of their
8 seawall. Well, when the water level drops and it goes off
9 into Saginaw Bay or Lake Huron 300 feet, now all that
10 exposed mud flat is growing wetland vegetation. And in some
11 cases that's only been an inch or two of water level
12 fluctuation. So Dr. Adamus is correct, in that two or three
13 centimeters -- and this has been reported in the literature
14 as well -- is an effective modifier for wetland vegetation,
15 but not when you have forested wetland systems. Because
16 forested wetland systems are persistent. They don't go
17 through this cycle of annual vegetation coming in and
18 colonizing the mud flat, not the types of wetlands we're
19 talking about here. They're either forested or scrub shrub.
20 And when they do have emergent vegetation, it's what we call
21 persistent or perennial, in that wetland plants are growing
22 from rizones or root stalks.

23 So now we have this situation where, well, does
24 two or three centimeters influence the tolerance of invasive
25 species to come in? And where we're been monitoring

1 wetlands -- because that's part of the work we do. When we
2 build wetlands or if we're protecting wetlands during the
3 process of a permit, we think there are three things that
4 really influence whether invasive species take over. First
5 of all, a wetland that is -- has a significant change to its
6 hydrology is particularly sensitive to the invasion of
7 wetland invasive species. For instance, there's a shrub
8 called the buckthorn that comes into emergent wetlands when
9 the water level is dropped for drainage or for agricultural
10 purposes. But you need to have two things happen. First of
11 all, buckthorn has to be nearby. They have to have an
12 available source for the seeds to migrate into the wetland.
13 And secondly, there has to be some sort of stress on the
14 native vegetation in order for it to not be able to resist
15 the competition coming from the invasive species.

16 Q And do we have that here, or will we have that here with
17 groundwater drawdown?

18 A We will not. WE will not have that because, number one, as
19 -- the quality of these wetlands is pretty much invasive-
20 species-free. I mean, we found maybe one or two scattered
21 little spots, but there are no large populations of either
22 Reed canary grass, purple loosestrife, phragmites, the
23 common reed or buckthorn. Secondly, this drawdown, if it
24 does occur, this change in hydrology will not stress this
25 vegetation. Because this vegetation is adapted to growing

1 these species, are adapted to growing in drier wetland
2 conditions already, so that the tamarack, the balsam fir,
3 the red maple are all capable of not only withstanding the
4 potential drop in groundwater; they'll actually grow better,
5 as I observed when I was studying my tamarack. So you've
6 got two things working in your favor to protect the wetlands
7 against invasive species. First of all, there are no major
8 sources of invasive species nearby. And secondly, this
9 plant community that we were looking at earlier in those
10 slides is tolerant and won't be stressed by any kind of
11 potential change in water level.

12 Q And you mentioned that there are some species that actually
13 benefit from some groundwater drawdown. And Dr. Adamus also
14 agreed that species such as black spruce may benefit from
15 some groundwater drawdown. Would you agree with that?

16 A I would. In fact, this is a principle of growing trees --
17 forest trees in wetlands. Forest drainage is a standard
18 practice to improve the productivity of forest plantations
19 in wetland areas.

20 Q And I believe another species he said that may benefit from
21 some groundwater drawdown is sphagnum moss?

22 A Sphagnum moss. And that's in the ground layer of this
23 forested complex. And the reason that's important is that
24 the sphagnum moss creates this vast mat over the bottom of
25 the forest floor. And one of the other elements associated

1 with invasive species getting started is if you create bare
2 soil. If somehow you disturb the site and create a place
3 where weedy species can get started, you increase the
4 chances of allowing noxious weed populations to become
5 established. At this particular site we're not going to do
6 that. None of that wetland area is going to be disturbed.
7 And in fact under some of these drier conditions the
8 sphagnum moss will prosper.

9 Q Now, Dr. Tilton, do you believe that the function or values
10 of this wetland system will be affected by the groundwater
11 drawdown?

12 A No, I don't.

13 Q And when I say "groundwater drawdown" I mean during mining.

14 Q During mining I just don't see a mechanism by which it's
15 going to occur.

16 Q And how about after mining?

17 A Well, after mining I think if there is a lowering of the
18 water table, that water table after mining will recover.
19 And the short duration that the mining period is projected
20 is very minor. And the wetland -- if there has been any
21 change, the wetland will be able to recover once the mining
22 is done and the water levels are returned.

23 Q And we'll talk about wetland recovery in a moment. But
24 before we do that -- now, looking at the -- again, the
25 wetland delineation aerial view, I'm pointing to the area

1 that's just north of the outcrop there. And is that your
2 understanding of where the surface facilities are to be
3 built?

4 A Yes.

5 Q Now, Dr. Adamus suggested that the wetland areas are going
6 to be affected by Kennecott's capturing of the water that
7 falls on the surface facility. Do you agree with that?

8 A No, I don't.

9 Q Now, is there any evidence that you've seen that would show
10 that the capturing of water in that area north of the
11 outcrop would affect at all the wetland?

12 A No. We spent some time walking along this edge when we
13 first got on the site, trying to understand if there were
14 any kind of surface water inputs from the upland, any kind
15 of a stream or any kind of surface water condition, and we
16 couldn't find anything, primarily due to the fact that this
17 sandy plain, the infiltration is so rapid that surface water
18 -- any kind of precipitation event flows into it, goes down
19 into the sand and is stored as groundwater. Furthermore,
20 most of the wetlands in this particular area are all
21 precipitation-dominated. So they don't depend on any kind
22 of surface water runoff from a facility this far away.
23 Lastly, a good part of this zone drains the other way. It
24 drains off to the north, based on our review of some of the
25 topographic information that was available.

1 Q You mentioned that part of what you do and part of your
2 expertise is in dealing with threatened and endangered plant
3 species?

4 A Yes.

5 Q And you did some of that work on this project; correct?

6 A Yes.

7 Q And in connection with that work, did you review Wetland
8 Coastal Resources Threatened and Endangered Species Report
9 that was attached to the Environmental Impact Assessment?

10 A Yes, I did.

11 Q And did that report identify any either potential threatened
12 and endangered species that were on the site or actually
13 existing on the site?

14 A Yes, it did.

15 Q And what were those?

16 A Well, they identified a narrow leaved gentian, and they also
17 alluded to the possibility of a water lily, small-leaved
18 water lily that they thought might have been identified.
19 But they couldn't get a conclusive identification of that.

20 Q And let's talk about the yellow pond water lily first. And
21 if we could bring up on the screen Intervenor 262? Now,
22 Wetland Coastal identified what they thought may be a yellow
23 pond lily. And then they -- or Kennecott retained you to
24 further investigate that?

25 A Yes, that's correct.

1 Q Can you tell me what you and your team did to do that?

2 A Well, we focused on the -- whether the small-leaved yellow
3 pond lily was present or not. And we actually went ahead
4 and went back up and did a survey of the habitat during the
5 flowering time frame and looked for the water lilies in the
6 areas where their habitat occurs; mainly the open-water
7 areas of the Salmon Trout River.

8 Q And this we've put on the screen here is Intervenor 262. Is
9 this the report that resulted from that investigation?

10 A Yes, it is.

11 Q And if we flip forward some pages into the report to the
12 pictures, we've got -- back up. There we go. We've got
13 some pictures here. Now, does that depict the yellow lily
14 that you were searching for?

15 A Yes. That's the target, basically, that we're looking for.
16 That's the target species.

17 Q Can you tell us just a little bit about the species?

18 A Well, it is very similar to the common water lily, the
19 yellow water lily that we're used to seeing in the lakes and
20 streams. It's got a yellow flower. But as you can see in
21 the photo on the bottom there, the flower is much smaller
22 than the yellow water lily that you're used to seeing. The
23 yellow water lily has a flower about the size of that leaf,
24 whereas this is much smaller. It's the same genus; it's
25 just a different species.

1 Q When Wetland Coastal did their assessment, they thought they
2 may have found a yellow pond lily. Can you tell me what
3 they found?

4 A They found -- I believe they found the leaves. And they
5 weren't sure whether they were the leaves -- the small --
6 the leaves of the small yellow lily or small leaves of the
7 more common water lily. And when they brought them down to
8 the University of Michigan, the professor there wasn't able
9 to give them a conclusive identification either.

10 Q And so they sent your team out to further investigate the
11 site, to see if they could locate this lily. And did you --
12 your team investigate the habitats where this lily would
13 occur?

14 A Yes. They walked -- well, they walked the entire length of
15 the area that they were studying, looked in habitats such as
16 shown on this site photograph, Appendix A, and looked in the
17 area that they thought was going to be representative of the
18 habitat.

19 Q And did they find the -- well, first of all, is this yellow
20 lily a threatened or endangered species?

21 A It's a threatened species.

22 Q And did they find this threatened species?

23 A No, they did not.

24 Q And was a thorough and diligent search conducted of the
25 area?

1 A Yes.

2 Q And to your knowledge, since this report which is dated
3 October 2006, has anyone found this yellow pond lily
4 threatened species in or around the mine site?

5 A Not to my knowledge, no.

6 Q Now, the other plant species that you mentioned was the
7 narrow-leaved gentian. Is that species threatened or
8 endangered?

9 A That's a threatened species.

10 Q Can you tell us a little bit about the narrow-leaved
11 gentian?

12 A Well, the narrow-leaved gentian is located -- it's been
13 reported in three counties in the Upper Peninsula:
14 Marquette, Baraga and I forget the third one. It is common
15 in those counties, even though it's threatened statewide.
16 In fact, there are large populations of them in Marquette
17 County.

18 Q And is the gentian also common in other states?

19 A Yes, it is.

20 Q Where within the United States? The east coast?

21 A Primarily. It is actually fairly common in what -- in those
22 east-coast states. It's sort of on the range -- it's on the
23 edge of its range, which brings it into its sort of
24 threatened status here in Michigan.

25 Q Now, in your connection with this case, have you reviewed

1 the reports that were done on the narrow-leaved gentian?

2 A Yes, I have.

3 Q And there are three. And they are the North Jackson 2004

4 Baseline Report. Did you review that report?

5 A I did.

6 Q And then there is a 2006 update to that report?

7 A Yes.

8 Q And a 2007 update to that report?

9 A Yes, I have.

10 Q And you reviewed all of those?

11 A Yes.

12 Q And can you tell me what those reports -- what the purpose

13 of those reports were, first?

14 A Well, the purpose of the reports as I understood it was to

15 identify how widespread the populations of narrow-leaved

16 gentians were and what sorts of habitats were the gentians

17 found to be growing in. Were they dominant -- were they

18 predominantly located in wetlands, exclusively located in

19 wetlands, or are they found to be growing a range of

20 different wetland types and upland types?

21 Q And if we could just go to Intervenor 267? And this is the

22 2006 update. And I just wanted to show an example of the

23 report. And if we could flip back to the maps at the end --

24 well, stay right there. We're showing a picture. Can you

25 tell us what we see in this picture that's part of this

1 report?

2 A This is a picture of a narrow-leaved gentian. It's got a
3 little blue flower. And then the threatened species is
4 characterized by narrower leaves, compared to the fringe
5 gentian.

6 Q And now if we go to the maps -- and we're looking at a map
7 here which is Bates stamped KEMC 165737, which is a page of
8 that report. And can you tell us what the -- this page
9 shows as far as existence and location for the narrow-leaved
10 gentian?

11 A Yes, I can. You can see here (indicating), here's the
12 Salmon Trout River flowing down like this. This is a large
13 wetland complex to the south. And this little symbol right
14 here represents the location of narrow-leaved gentian. As
15 you can see, there's a bunch scattered along here. There's
16 one actually right there. There's a bunch associated with
17 the riverine habitat.

18 Q And if you could point out for the court, I believe there's
19 a star there to show where the proposed mine will be?

20 A Yes. I'm sorry. Right there (indicating) is the mine
21 facility itself.

22 Q And the wetland areas that you've been talking about, Dr.
23 Tilton, that you characterized, where are those?

24 A Those are located west of the mine site, pretty much right
25 in this vicinity right here.

1 Q And so there were some colonies of narrow-leaved gentian
2 that were located in or around those wetland areas?

3 A Yes.

4 Q Dr. Tilton, do you believe -- in your opinion will the
5 predicted water drawdown have any effect on populations of
6 the narrow-leaved gentian?

7 A No, they will not.

8 Q And why not?

9 A Well, the main reason is that all the studies done so far,
10 including some of the background studies on this particular
11 species, indicate that it's tolerant of small changes in
12 moisture condition. In fact, the survey that was done by
13 North Jackson Company found populations of the narrow-leaved
14 gentian growing in sandy and gravelly soil, not just in the
15 wetland areas, alongside rivers where the moisture regime is
16 what you'd expect of a wetland plant. So with that
17 information in hand plus the fact that the population is so
18 widespread in Marquette, I don't believe that the population
19 is at risk. There may be small changes in individual plant
20 species. In fact, North Jackson Company did document some
21 of that, changes in individual plants from year to year.
22 When they went back to visit a site, the population was
23 either smaller or larger. But on balance, the species seems
24 to be tolerant of the sorts of water-level changes that are
25 expected at the mine site and at the mining operation.

1 Q Now, the Michigan National Features Inventory ranks wetland
2 areas or types of wetlands as to their rarity; correct?

3 A Yes, they do.

4 Q And the type of wetland that we've been talking about here,
5 what type of wetland is that?

6 A Well, there are three groups. There's basically what would
7 be classified as a pore conifer forest, pore conifer swamp;
8 a scrub shrub wetland; or an emergent wetland.

9 Q And for each one of those types, are those types of wetlands
10 in the State of Michigan common or rare?

11 A Well, they're considered common. There are hundreds of
12 thousands of acres of these wetland types. Some have been
13 impacted more by settlement than others, but there are still
14 hundreds of thousands of acres of wetland, as illustrated by
15 this slide alone. Just in Marquette County you can see that
16 this is a large wetland complex of mixed wetland types. And
17 the wetland map of Westland Coastal Resources also
18 illustrated that there are large wetland complexes of much -
19 - much larger in extent and of the same wetland types, in
20 areas very close to the mine site.

21 Q And you said that there are hundreds of thousands of acres
22 of these same types of wetlands in Michigan. How many acres
23 of wetlands are we talking about here that are in or around
24 the mine site?

25 A Well, I focused just in and around the orebody. And, you

1 know, the numbers vary, but there are, like, 30 to 40 acres
2 that might be within the groundwater drawdown area.

3 Q Now, Dr. Tilton, you said that you've reviewed the permit
4 conditions in connection with this proposed mine; correct?

5 A Yes, I have.

6 Q Now, do you believe that the permit conditions promulgated
7 by the MDEQ will be protective of first the wetlands
8 themselves and the narrow-leaved gentian?

9 A Well, they will be protective of the wetland. And the
10 requirements to monitor the gentian populations will protect
11 that species as well.

12 Q And can we talk about the particular parts of the permit
13 that you believe will be protective over the wetland? And
14 we can put the permit up if you need to, or you can just
15 tell us what those permit conditions require.

16 A Well, in my opinion the aspect of the permit that is going
17 to really protect the wetland complex is of course the
18 hydrology. There's -- the mining permit first of all
19 doesn't allow any kind of filling of wetlands. You have to
20 protect them; you have to make sure that no actual fill gets
21 placed in the wetlands. And then the mine permit goes into
22 quite a bit of detail, describing which monitoring wells
23 need to be maintained and monitored and what those
24 monitoring wells are supposed to be measuring. And then
25 they describe that if the hydro period changes by as little

1 as six inches, that further steps have to be taken to
2 understand what's going on with that. In my opinion, this
3 is adequate to understand what's going to go on during the
4 actual mine operation in terms of wetland hydrology.

5 Q And how about the narrow-leaved gentian? What permit
6 conditions are protective of the narrow-leaved gentian?

7 A Well, the idea that the population actually be monitored,
8 identified. And there's actually a requirement to go out
9 and make sure that there isn't disease or other disturbance
10 occurring to the populations; to make sure that the health
11 and vigor of the plants is maintained and to understand
12 what's going on with them if something does start to occur.

13 Q And do you recall whether there is a setback requirement for
14 any action or disturbance within a certain number of feet
15 from the gentian?

16 A I don't remember the exact number, but there is a setback
17 requirement, to make sure that there's a buffer associated
18 with protecting the population.

19 Q Does 66 feet ring a bell?

20 A I'm sorry. I don't remember.

21 Q I believe the permit is also an exhibit and speaks for
22 itself. But you do recall a setback requirement, Dr.
23 Tilton?

24 A I do recall a setback requirement; I just can't remember the
25 exact number.

1 Q Now, you said that you believe that the monitoring
2 requirement for the wetlands will adequately protect them in
3 the event of a drawdown?

4 A Yes.

5 Q Dr. Adamus has said something to the effect that by the time
6 that you catch it, it will be too late to fix and the
7 wetlands will be ruined. Would you agree with that?

8 A I don't agree with that.

9 Q And why not?

10 A Well, I think that there are certain wetland types that if
11 you were to draw down the water level, you could cause
12 damage to some of the plant species, but not these. These
13 wetlands, many of the species first of all are tolerant of
14 water level changes, the trees and shrubs in particular.
15 They are perennial; they have a presence in the landscape
16 that isn't dependent on being inundated, for instance. If
17 it's a plant species that needs to be inundated and you take
18 the water away, then that plant species is going to die.
19 But we don't have that situation here. In fact, the trees
20 themselves, based on the literature and my own observations,
21 will probably respond in the event of a drawdown or less
22 water by growing more vigorously.

23 Furthermore, the time frame over which we're
24 talking, perhaps eight to ten years, is sufficient for these
25 plant species to persist and in some cases actually grow

1 better, until the mine operation is done. And then the
2 water levels will come back to what they were before.

3 Q And do you believe -- I mean, assume for purposes of
4 argument that some of the wetland plants were affected. The
5 health of the plants were affected or they died. Is the
6 wetland forever gone?

7 A No, it's not. And that's another important point. I've
8 been able to restore many wetlands that have had their
9 groundwater drawn down, either through agriculture or
10 through regional drainage projects.

11 Q Can you give us some examples of that?

12 A Certainly. As part of a natural resources damage assessment
13 I restored wetlands along Saginaw Bay that had been diked
14 and then pumped. The farmer put in drainage systems, drew
15 down the groundwater by as much as six feet. And he would
16 pump out that wetland every spring, plant his crops and then
17 harvest them in the fall. So as part of that natural
18 resource damage assessment, we re-flooded that wetland
19 system, removed the dike and within two years had a
20 functioning wetland area free of invasive species.

21 Another example is a natural area owned by the
22 Nature Conservancy near Tecumseh, Michigan, on the Raisin
23 River. It's called Ives Road Fen. And it's a system that
24 had been owned by a farmer prior to the Nature Conservancy
25 owning it. And he had actually installed tiles that drained

1 not just the surface water but the groundwater from that
2 fen. And then he ran those tiles down to the river. He had
3 dropped the water level in that fen as much as six feet in
4 some parts. And he had maintained it that way for over 40
5 years. You can imagine the sorts of things that, based on
6 my testimony earlier, had occurred. Buckthorn had invaded
7 that site because it was so dry. And the native species
8 weren't able to compete. So through a combination of
9 removing the buckthorn, reaving all the tiles, within a year
10 or two the groundwater was back to the surface. The native
11 plant species had taken over from seed that had laid dormant
12 in the soil and had replaced the buckthorn. Now, we had to
13 cut the buckthorn and we had to treat the stumps with
14 herbicide, so it took a significant effort. But the point
15 was that despite the fact that it had been drained for
16 almost 40 years, we were able -- by restoring the hydrology,
17 by blocking those tiles, we were able to get the native
18 plant species, along with a threatened species of snake, the
19 rattlesnake -- Massasauga rattlesnake, that population's
20 exploded. It went from, like, six snakes to over 150 of
21 them now in that particular restoration area. So the length
22 of time that -- you know, worse case scenario may occur
23 here; that some of the wetlands may have their water level
24 drawn down to eight to ten years is well within my
25 experience in being able to restore a natural community once

1 the disturbance is done.

2 Q Is there anything about the wetlands at this site that would
3 lead you to believe that if these wetlands were affected by
4 groundwater drawdown, that you could not restore them?

5 A No. There is nothing here that seems unusual or out of the
6 ordinary.

7 Q Now, Dr. Tilton, I would like now to just go back over your
8 conclusions that you formed. First of all, have we
9 discussed today the basis for your conclusions?

10 A Yes, we have.

11 Q And if we could go back to slide 1? And again, if you could
12 briefly review your conclusions in this matter?

13 A Yeah, if -- that would be fine. I think the key is, as
14 we've sort of gone over here this morning, first of all that
15 the wetlands over the orebody are contiguous with each other
16 but that they vary quite a bit in terms of elevation; that
17 the wetlands are dominated by forested and scrub shrub,
18 wetland types, vegetation type; and that these plant species
19 that make up these plant communities are tolerant of water-
20 level changes; and that the soil of the wetlands has a
21 profile of a fairly thin layer of organic matter that's
22 underlain by silty clay; and that that silty clay influences
23 the hydrology of the wetland to a significant extent;
24 finally, that the wetland hydrology of various wetlands,
25 although it varies from wetland to wetland depending on

1 where you are out there, is influenced by precipitation,
2 surface runoff and then a combination of groundwater.

3 Q And on slide 2 your conclusions, Dr. Tilton?

4 A The conclusions, based on our study and the review of the
5 available information in the reports, is that the wetlands
6 that are dominated by precipitation will not be adversely
7 impacted by any sort of predicted groundwater drawdown; that
8 the wetland hydrology along the river of those emergent
9 plant systems, because of the hydrology of the river, will
10 not be adversely impacted by a groundwater drawdown; and
11 then finally, that the wetland hydrology in the groundwater-
12 dependent wetlands will be mitigated by the surplus
13 precipitation and shallow water in the ground that comes
14 from the higher wetland systems flowing down in the sand and
15 gravel and in the surface soil, mitigating for any -- for
16 the groundwater impact that will occur.

17 Q And so the drawdown as predicted by GeoTrans, will that have
18 an effect on any of the wetland types?

19 A It won't have an effect on any of the wetland types.

20 Q And the last slide?

21 A The last two slides relate to the narrow-leaved gentian as a
22 threatened plant species. But it's very common in this
23 region, and it's been found to grow on a wide range of
24 moisture conditions. So it's got a lot -- it's got a wide
25 tolerance of moisture conditions; and then finally that the

1 mining permit that relates to wetlands and the narrow-leaved
2 gentian population, will protect the wetland ecology
3 functions and values, as well as the populations of narrow-
4 leaved gentian.

5 Q Thank you, Dr. Tilton.

6 MR. PREDKO: Your Honor, I do have some
7 housekeeping exhibit types of things that I'd like to do.
8 But if we'd like to take a break before that, I can do that
9 and then pass the witness.

10 JUDGE PATTERSON: Okay. Why don't we do that?

11 (Off the record)

12 MR. PREDKO: Just a few exhibit housekeeping
13 issues, your Honor.

14 JUDGE PATTERSON: Okay.

15 MR. PREDKO: First, by stipulation of the parties,
16 Dr. Tilton's Curriculum Vitae is already in evidence as
17 Intervenor Exhibit 242. Next I would like to offer into
18 evidence Wetland Coastal Resources Wetland Delineation
19 Report of 2004 which was a part of the appendices of the
20 environmental impact assessment submitted with the mine
21 application. That is Intervenor Exhibit 12 Bates stamped
22 KEMC108859 through 109063.

23 MR. DYKEMA: The stipulation -- he's correct. The
24 CV is stipulated to. We would object to Intervenor Number
25 12. It hasn't been authenticated. Neither the author nor

1 the supervisor of that board has been here to testify. Dr.
2 Tilton has offered opinions to some extent based upon his
3 review of that which he's entitled to do whether it's
4 admissible or not, but that doesn't make that report
5 admissible, so we object on grounds of hearsay.

6 MR. PREDKO: And in response, your Honor, Dr.
7 Tilton has testified that he's relied on this report in both
8 doing his own surveys and forming his conclusions. This is
9 the type of report that he has expertise in, and it is
10 admissible in this case under APA 75.

11 JUDGE PATTERSON: I agree, Counsel, and I've done
12 that previously when similar exhibits have been offered, so
13 I will overrule the objection. Mr. Reichel, I assume you
14 had no --

15 MR. REICHEL: No objection, your Honor.

16 (Intervenor's Exhibit 12, Bates 108859-109063,
17 received)

18 MR. PREDKO: Next, your Honor, is the North
19 Jackson 2004 Baseline Narrow-Leaf Gentian Report, and that
20 is Intervenor Exhibit 12 Bates stamped KEMC109250 through
21 KEMC109260.

22 MR. DYKEMA: Same objection.

23 MR. PREDKO: Same response, your Honor.

24 MR. REICHEL: No objection.

25 JUDGE PATTERSON: That was admitted through Mr.

1 Wiitala?

2 MR. PREDKO: No, not the Narrow-Leaf Gentian
3 Report.

4 JUDGE PATTERSON: Again, same ruling; under
5 Section 75 I'll deem it admissible and overrule.

6 (Intervenor's Exhibit 12, Bates 109250-109260,
7 received)

8 MR. PREDKO: And the next three are in the same
9 category and so I will just read them altogether. The next
10 one actually is Mr. Tilton's report. It's the ECT 2006
11 Yellow Pond Lily Report, and that is Intervenor 262.

12 MR. REICHEL: No objection.

13 MR. DYKEMA: No objection.

14 JUDGE PATTERSON: All right. No objection, it
15 will be entered.

16 (Intervenor's Exhibit 262 received)

17 JUDGE PATTERSON: And here's what I was referring
18 to: The next two actually fall in the category of the
19 others, both North Jackson reports. First the North Jackson
20 2006 Narrow-Leaf Gentian Update, and that is at Intervenor
21 267. And next, the North Jackson 2007 Narrow-Leaf Gentian
22 Report, and that is at Intervenor 266.

23 MR. DYKEMA: Objection on grounds of hearsay.

24 MR. REICHEL: No objection.

25 JUDGE PATTERSON: And again I'll rule they're

1 admissible under Section 75 of the APA.

2 (Intervenor's Exhibits 266 and 267 received)

3 MR. PREDKO: And, your Honor, we would offer the
4 slides that Dr. Tilton discussed as Intervenor 647 and also
5 Dr. Tilton's -- were there two pages of drawings?

6 THE WITNESS: Two sketches.

7 MR. PREDKO: To sketches as Intervenor 648.

8 MR. REICHEL: Mr. Predko, just to be clear, the
9 slides are 647; is that correct?

10 MR. PREDKO: Yes.

11 MR. REICHEL: And so the two sketches you want to
12 label as demonstrative 648?

13 MR. PREDKO: Together 648, the sketches, yeah.

14 MR. REICHEL: I have no objection.

15 MR. DYKEMA: With the understanding that they're
16 being offered purely for demonstrative purposes we have no
17 objection.

18 JUDGE PATTERSON: With that understanding I will
19 admit them.

20 (Intervenor's Exhibits 647 and 648 received)

21 MR. PREDKO: And with that, I pass the witness,
22 your Honor.

23 MR. REICHEL: Your Honor, I have no questions at
24 this time, but we reserve the right to pursue questions on
25 cross-examination -- based upon the cross-examination.

1 JUDGE PATTERSON: Mr. Dykema, are you going first?

2 MR. DYKEMA: I am. Thank you, your Honor. May I
3 use some of your slides?

4 MR. PREDKO: Absolutely.

5 MR. DYKEMA: Good morning, Dr. Tilton.

6 THE WITNESS: Good morning.

7 MR. DYKEMA: It is an honor to ask you questions.

8 THE WITNESS: Same.

9 CROSS-EXAMINATION

10 BY MR. DYKEMA:

11 Q Your field results talk about conclusions that you reached
12 about wetlands over the orebody. If my understanding that
13 your own research on the site, your own focus, was
14 wetland -- the wetland complex directly over the orebody
15 encompassing sites 6, 8 and 9?

16 A Yes.

17 Q So you did not evaluate the other wetlands that were
18 identified in the wetlands delineation report elsewhere on
19 Kennecott's property?

20 A If by that you mean the wetlands south of the river, you're
21 correct. We didn't go into that area. We didn't look at
22 those. But we did look at the wetlands all the way down to
23 county road and then upstream a little bit from the orebody
24 especially during the threatened and endangered species
25 survey. But, you're right. We didn't look at -- I don't

1 know what the numbers are, and I'd have to pull that up
2 graphic, but we didn't look at some of those wetlands to the
3 south.

4 Q But the conclusions that you've offered today -- putting
5 aside the endangered species material, --

6 A Okay.

7 Q -- the conclusions you've reached today on the nature and
8 potential risk to wetlands were focused on the wetland
9 complex directly over the site.

10 A Well, for the most part, but remember that the wetland
11 complex extends north of the orebody. Maybe if we could
12 pull up a graphic, if you go to that -- like, the third
13 slide, I can show you what -- keep going. Maybe the
14 sixth -- there. You see how the orebody -- the wetlands
15 directly over the orebody are only a portion of we've been
16 focusing on. We actually are studying wetlands up here
17 (indicating) and down here as well. But to your point that
18 these are the wetlands that we focused on and not the
19 complete area that was the purpose of the wetland
20 delineation, you're correct.

21 Q Okay. And so the record is clear, you're looking at your
22 demonstrative slide 6, and your point was that your
23 assessment did extend to the monitors, number 26 through 29?

24 A Yes, and to the west to monitoring well 23 and to the east
25 to monitoring well 43. That's a good point -- that's a good

1 way to put it.

2 Q And am I right that in analyzing the issues that Counsel put
3 to you and you reach the conclusions about likely impacts of
4 groundwater drawdown, you did not yourself perform or direct
5 the performance of any independent hydrologic modeling?

6 A That's correct.

7 Q So your hydrologic assumptions with respect to potential
8 groundwater drawdown, were those produced by the GeoTrans
9 model?

10 A Yes.

11 Q Now, are you aware that other firms have done other efforts
12 at groundwater drawdown modeling in the context of this
13 proceeding?

14 A Yes, I am.

15 Q If you were to be persuaded that a different model that
16 projected substantially greater groundwater drawdown were
17 more accurate or more reliable, you would need to revisit
18 your conclusions, would you not?

19 MR. PREDKO: Your Honor, I'd just want to place an
20 objection for the record. There's been no evidence set
21 forth so far in this case that there will be any other
22 drawdown other than that predicted by GeoTrans, and
23 specifically there's been no other evidence as to the
24 specific location of the drawdown, how much the drawdown
25 will be and the location of the drawdown within the bedrock.

1 MR. DYKEMA: May I have one moment, your Honor?

2 JUDGE PATTERSON: Sure.

3 MR. DYKEMA: Your Honor, my understanding is to
4 the contrary, that Dr. Prucha did just that; he did project
5 groundwater drawdown and matched groundwater drawdown --
6 whether that is true or not, certainly the modeling exercise
7 that GeoTrans did was, according to Mr. Council himself, Dr.
8 Council, a matter beset with uncertainty. And I'm at least
9 allowed to pursue with this witness the question of whether
10 if those predictions are not reliable, he would need to
11 revisit this analysis.

12 MR. PREDKO: I would agree on that last question,
13 your Honor, that he can ask Mr. Tilton if the GeoTrans
14 predictions are unreliable, would that change his analysis?
15 However, I would disagree that there had been any testimony
16 again as to a specific drawdown, the location of that
17 drawdown, the depth of that drawdown. And I would again
18 disagree about Dr. Prucha's testimony. Dr. Prucha testified
19 that there may be a different inflow but certainly did not
20 testify about any certain drawdown or the location of that
21 drawdown.

22 MR. DYKEMA: The transcript will resolve counsel's
23 and my quarrel on that particular claim. What I want to ask
24 the witness is the extent to which he would need to revise
25 his analysis and conclusions.

1 JUDGE PATTERSON: Okay. I'll allow you to go
2 ahead with it.

3 Q Dr. Tilton, would I be fair in concluding that if you were
4 of the belief that the groundwater drawdown could be
5 substantially greater than GeoTrans predicts, you want to
6 revisit your analysis?

7 A There would be a -- for some of the wetland areas, yes,
8 certainly, I would be interested in doing that.

9 Q And by -- for "some of the wetland areas," you're talking
10 about for some of the wetland areas within that area that
11 you yourself focused on?

12 A Yes, that's correct.

13 Q So you're not in a position today to offer opinions as to --
14 I'll withdraw that. When you were summarizing your first
15 conclusion in your slide number 2, Dr. Tilton, what I wrote
16 down is that you actually added a couple of words. And I
17 just want to make sure that I heard you correctly. What you
18 said as opposed to what's written is that wetland hydrology
19 in some wetlands on the site is predominantly dependent upon
20 precipitation. But would it be fair to say that your
21 conclusion here is, again, focused on that area on or almost
22 directly over the mine site itself?

23 A Yes. That's a good clarification; yes.

24 Q In commenting and expanding upon your third conclusion on
25 slide number 2, you expanded by saying that the projected

1 drawdown will not have significant adverse effects, my
2 words, not yourself. The words I mentioned again are the
3 words, the projected drawdown. And there again you're
4 referring to the drawdown as projected by GeoTrans?

5 A Yes, that's correct.

6 Q Did you yourself or any other members of your team conduct
7 any endangered species inventories other than your analysis
8 of the gentian and the small lily?

9 A Well, yes, in the context of when we were looking for a
10 particular species, the person is always open to other
11 species that we might encounter. In other words, you're
12 not -- just got blinders on looking for the small yellow
13 water lily. If you find painted trillium, you'd make a note
14 of that.

15 Q Your Ph.D. was in botany?

16 A Yes.

17 Q And my sense was, when Mr. Predko reviewed your impressive
18 resume, that your focus since then has been on the botanical
19 aspects of wetlands; is that fair?

20 A Well, I would say that it's more focused on the function and
21 ecology of them.

22 Q Okay. But you don't consider yourself an expert in reptiles
23 and amphibians?

24 A Oh, that's correct. No. You're right. In the sense that
25 it's plant communities and how plant communities respond,

1 you're correct.

2 Q Let me fill in a couple of fairly minor lacune I noted on
3 your CV. What was the company that ECT bought?

4 A Tilton & Associates.

5 Q Tilton & Associates. You've mentioned that you did an
6 analysis of potential wetland impacts at the CIA
7 headquarters. Do you have any continuing affiliation with
8 the CIA?

9 A No, I don't.

10 MR. PREDKO: He can't tell you.

11 THE WITNESS: Yeah, that's true.

12 Q If you have to shoot me, I'll withdraw the question.
13 Counsel described or had you describe the extensiveness of
14 your experience in the State of Michigan and contrasted that
15 with Dr. Adamus who has described in his testimony some
16 studies he's done in Michigan and some inventory mechanisms
17 he's created for Michigan. But the point was, he has spent
18 a good deal less time here than you have.

19 A Yes.

20 Q Do you know Dr. Adamus personally?

21 A I don't know him personally, but I certainly know his
22 professional reputation.

23 Q Are you familiar with his work?

24 A Yes, I am.

25 Q Do you admire his work?

1 A I do. It's been -- it's been very useful, added quite a bit
2 to the advancement and knowledge and understanding of
3 wetlands.

4 Q I believe you said your visit to the site was in October of
5 '05.

6 A Yes, that's correct.

7 Q And you were there for two days and then met with the
8 authors of the reports you were reviewing for one day?

9 A Yes. Two days of field work, one day of sort of meetings
10 and collaboration on continuing studies.

11 Q And I gather you returned to the site when you were on the
12 trail of the small lily.

13 A Yes; uh-huh.

14 Q And that was in the spring? Or was it?

15 A No, it was -- I believe it was in the summer. My staff
16 actually did the visit itself, but I believe it would have
17 been in the summer of 2006, the flowering period of the
18 water lily basically.

19 Q Are there any disadvantages in doing the sort of general
20 wetland review of survey to doing it in the late fall?

21 A Not for what we were interested in. Certainly if you are
22 going out looking for a spring flowering plant and you go
23 there in October, you're at a disadvantage. But when you're
24 interested in sort of the hydrologic function and value and
25 looking at soils and the predominant vegetation type, the

1 fall is not a significant impediment.

2 Q Returning again to the area, geographical area that you
3 focused on which is above the mine site and with some bulge,
4 particularly to the north, am I right that the reason you
5 focused on that is that that was the area where GeoTrans
6 projected in their base case a half foot drawdown?

7 A No.

8 Q Please correct me.

9 A At the time that we were conducting the baseline survey
10 GeoTrans wasn't involved. We were working basically with
11 North Jackson, and it was based on the understanding of
12 having talked with Dan and also working with Kennecott to
13 understand where the orebody was and where the ore mine was
14 going to be and where the surface facilities were. That was
15 how we discerned what we should be studying. And it was
16 based on the drawdown sort of general idea what the drawdown
17 would be at that time back in 2005 that we based our
18 studies.

19 Q Who provided you with the a general idea of what the
20 drawdown would be?

21 A Dan Wiitala -- you know, I don't remember specifically. It
22 was at a meeting with Jon Cherry and the wetland
23 hydrologist -- not the wetland hydrologist but the
24 geohydrologist. Steve Donohue was present. So I think
25 we -- at that meeting -- I guess the reason I'm hesitating

1 is a I can't speak to exactly who told us what the level of
2 the drawdown was going to be at that time. It was more a
3 general impression that it was going to be a drawdown. It
4 would be in the vicinity of the orebody, and you should
5 focus on the wetland ecology in this particular area.

6 Q Could it have been Mr. Cherry who gave you that notion?

7 A It was at a meeting at which he was attending. It could
8 have been him, yes.

9 Q In reviewing your career you mentioned a couple of instances
10 in which you had studied the relationship between a mine and
11 area wetlands.

12 A Yes.

13 Q Are you aware of any instance in which an underground mine
14 was constructed directly below a river and wetland system?

15 A Yes.

16 Q Where is that?

17 A Certain of the salt mines in the Detroit area extend under
18 the Detroit River. And although I've not have any
19 experience with the salt mines, I'm aware of that.

20 Q So you haven't studied the salt mines or their effect on
21 area hydrology?

22 A No, I have not.

23 Q Are you aware of any cases where a sulfide mine was proposed
24 or constructed directly underneath a wetland and river
25 complex?

1 A I'm not, no.

2 Q The wetland delineation reports prepared for Kennecott all
3 focused, as I understand it, on the acreage owned or leased
4 by Kennecott. Do you share my understanding? Or perhaps
5 you don't know.

6 A Well, they were limited by a boundary. That's for sure. I
7 don't under- -- I thought they -- I don't know whether it's
8 owned or leased. I thought it was some sort of property
9 ownership pattern. I don't know which is which, in other
10 words.

11 Q But is it your understanding that that boundary was provided
12 to the researchers by Kennecott?

13 A I don't know. I don't know the answer to that.

14 Q The three wetland types -- and let me apologize in advance.
15 I'm sure I'm going to get some terminology wrong. Please be
16 bold in correcting me.

17 A Okay.

18 Q As I understand it, the three wetland types that you
19 analyzed were the scrub-shrub, --

20 A Yes.

21 Q -- emergent --

22 A Yes.

23 Q -- and forested.

24 A Yes.

25 Q And none of those is groundwater dependent as a general

1 matter?

2 A On this particular site?

3 Q Yes.

4 A Yes, some of them are groundwater dependent.

5 Q And so are the riparian or the ones hear the river?

6 A And some of the scrub-shrub and a small portion of forested,
7 I believe, is also groundwater dependent.

8 Q You showed us some grass that traced water levels over time
9 and in some cases compared that with precipitation. Do you
10 recall that?

11 A I do.

12 Q And one of the main points you were making is that the water
13 level in the riverine wetlands is pretty flat over the
14 course of the year, --

15 A Yes.

16 Q -- while the water level in the more upland wetlands
17 fluctuates a great deal more?

18 A Yes.

19 Q And one of the morals you drew from that is that the more
20 upland wetlands are much more heavily influenced by
21 precipitation?

22 A Yes.

23 Q Does the flatness of the water levels in the riverine
24 wetlands suggest or could it suggest that those wetlands are
25 substantially supported by constant groundwater flow?

1 A Yes.

2 Q I apologize for jumping around.

3 A That's okay.

4 Q If you need background or you want to look at an exhibit to
5 reorient yourself, please do. One of the discoveries that
6 you made in doing your soil borings was that in much of the
7 area you looked at, beneath a fairly thin layer of muck
8 there was a thicker layer of sand and gravel.

9 A Yes.

10 Q I understood you correctly?

11 A Yes.

12 Q What's the word for the process by which a liquid is drawn
13 upwards?

14 A That's generally referred to as capillary action.

15 Q Okay. Does capillary action happen in sand and gravel?

16 A It does, but to a very limited extent compared to some other
17 soil types.

18 Q Where did your daily precipitation data come from?

19 A From the Marquette Airport. They have a station there and
20 we obtained data there.

21 Q I noticed on your graphs that for the more upland wetlands,
22 there was a water level drop during the winter.

23 A Yes.

24 Q And I believe you explained that that's because -- in my
25 words, not yours -- the precipitation is tied up in snow and

1 ice.

2 A Yes. And the effect of the groundwater recharge of water
3 percolating down through that silty clay layer is causing
4 the drawdown. So it's a combination of no resupply but the
5 drawdown, the recharge is occurring.

6 Q If the more riverine wetlands actually show a slight
7 increase in water level over the course of the winter, might
8 that again suggest that they're substantially supported by
9 groundwater flow?

10 A Yeah, I believe it does. I think that's one of the things
11 that, when we say groundwater dependent systems, that we're
12 saying that that river, the stream and the wetlands
13 alongside are dependent by groundwater -- on groundwater.

14 Q Revealing, perhaps, my color blindness, I need some help
15 with this slide. Now, the pale green --

16 MR. DYKEMA: Do we have a laser pointer?

17 Q Well, do you have a laser pointer with you?

18 A I do. The pale green?

19 Q The pale green is the riparian wetland.

20 A Yes, right there (indicating). And there's a big blob right
21 down there (indicating). That's the best place to see it.

22 Q Okay. And the blue -- can you sort of outline for us the
23 blue?

24 A The blue is this kind of octopus-shaped area up in here.

25 Q Okay. So that's sort of the water colored part.

1 A Yeah.

2 Q Or purplish. And then the tan is the groundwater supported.

3 A Right here (indicating), this band that lies between the
4 upland and the river, so right in through here (indicating).

5 Q Okay. So by comparison, there's a whole lot more tan than
6 there is green or blue. Am I looking at that correctly?

7 A Yes.

8 Q In this piece of map.

9 A Yeah, from county road all the way to the edge of the map,
10 yes, you're correct.

11 Q If the Department of Environmental Quality were to conclude
12 that a substantial groundwater drawdown -- and let me say
13 "substantial" is a foot or more -- would actually occur over
14 a large area of the tan wetland depicted in your
15 demonstrative 17, do you believe they should have serious
16 concern about the environmental impacts of this mine?

17 MR. PREDKO: Your Honor, I would just place the
18 same objection, that there's been no even suggestion that
19 the MDEQ has made such a determination and there's been no
20 testimony from Petitioners to support that.

21 MR. DYKEMA: I disagree about the state of the
22 record, but it's a hypothetical question.

23 JUDGE PATTERSON: I'll allow it on that basis.

24 A A foot may or may not have an impact on the wetlands. And
25 let's just talk about the wetlands in the brown area right

1 here (indicating).

2 Q Those are the ones you studied?

3 A Yeah.

4 Q Okay.

5 A If the DEQ determines that they're projecting a foot drop,
6 it depends on what the nature of that foot of drawdown is,
7 its seasonality, its magnitude, its duration, because the
8 wetland can tolerate all sorts of different scenarios, more
9 than others, for instance.

10 Q Again, talking about the wetland that you looked at?

11 A Yes.

12 Q Okay. So I gather you're not in a position to offer
13 opinions about the vulnerability of other wetlands in the
14 area to groundwater drawdown other than those you focused
15 on?

16 A That's correct. You know, these area -- that's right. This
17 is the area that we've really done all of our background
18 work.

19 Q And on slide 17 what you're indicating with the laser was
20 essentially with the red, irregular circle?

21 A Well, no. From 23 -- basically the triangle that's formed
22 by the river on the lower leg from 23 to 29 and then the
23 norther limit of the wetland down to -- I think that's 28,
24 that sort of triangle is the area we focused on.

25 Q Towards the close of your testimony you talked about the

1 monitoring program that the DEQ has asked Kennecott to carry
2 out.

3 A Yes.

4 Q Is there a monitoring well directly above the orebody, do
5 you recall?

6 A Well, there is a well within the orebody. I don't know
7 whether it's centrally located. It would be the 43, that
8 well right there. We used that in our studies, and we've
9 got a good record of what it shows, not just for 2007, but
10 going back in time. So we've got a couple of years to make
11 some comparisons, but it's sitting right there. So I think
12 that's pretty good a well.

13 Q What does the QAL stand for -- or this is not an acronym
14 test. What is a QAL-type well?

15 A It's the name the hydrologist gave the well. And QAL
16 stands, I think, for quaternary, but that's all I know is
17 that it -- it's not like a separate kind of well. When I
18 looked at the well log, it is -- it's a piezometer, so it's
19 the same construction, some type of screen depth as some of
20 the other wetland wells. The wetland wells just weren't set
21 as deep as the QAL wells.

22 Q I'd like to return to your discussion of the likelihood that
23 if there's a groundwater drawdown in the groundwater
24 dependent wetland within your study area, that loss of water
25 will likely be compensated for through surface water

1 precipitation; is that -- can you --

2 A Yes, that and the shallow groundwater, so you have
3 precipitation and then shallow groundwater that's going to
4 compensate for the groundwater drawdown.

5 Q And am I right the shallow -- the source of the shallow
6 groundwater is itself precipitation or not?

7 A Ultimately, yeah. Ultimately it is.

8 Q If the water in the groundwater-dependent wetland within
9 your study area is replaced -- if groundwater is replaced by
10 precipitation or shallow surface water, that will alter the
11 water chemistry of the well, will it not?

12 A Not significantly. The precipitation has a different
13 chemistry than the groundwater. There's no question of
14 that. But by the time the shallow groundwater works its way
15 down through this sort of layer of organic matter and sand
16 and gravel from the upslope position and gets down into the
17 groundwater dominated area, the precipitation chemistry has
18 been buffered by all the leaching and contact with all that
19 mineral matter. So it's not as if those groundwater
20 dominated areas are going to be converted to ombrotrophic
21 precipitation dominated bogs. The second thing that is
22 working to mitigate the impact of that precipitation
23 replacing the groundwater is that those plants are rotted in
24 sort of a mineral soil. They're rooted either in the sand
25 and gravel or in the silty clay itself. So while, you know,

1 groundwater chemistry may shift a little bit more towards
2 the precipitation side, the plants are really obtaining
3 their nutrients from the soil.

4 Q Will that replacement of groundwater with surface water or
5 shallow groundwater result in a change of water temperature
6 regime?

7 A No, I don't believe it will.

8 Q When Dr. Adamus was on the stand he quoted from a peer
9 reviewed paper to the effect that the changes in water level
10 in a wetland -- and I think the focus was a fen; I'm not
11 sure -- of just a couple of centimeters can have profound
12 effects. Do you recall that?

13 A I do.

14 Q And Mr. Predko asked you about that. And am I right that
15 your opinion is that, while that is true, it's true only
16 under very limited circumstances?

17 A Well, I wouldn't characterize it as very limited, but it's
18 true under circumstances that don't exist at these wetlands.

19 Q And by -- "these wetlands" being the ones you focused on?

20 A Yes; uh-huh.

21 Q And the two instances where you suggested it may commonly be
22 true were vernal pools and lakeshores?

23 A Well, I gave those as examples for today's discussion. But
24 there are other wetland types where an inch or two of water
25 level change can have some impact.

1 Q I gather you are not in the position to educate us as to the
2 number or extent of vernal pool-type wetlands that exist
3 within, say, a mile of the mine site?

4 A That's correct.

5 Q As far as you know, there may be quite a lot?

6 A Well, as far as I know, I would doubt that, but I can't tell
7 you how many there are. I doubt it because the geology and
8 the plant cover, the vegetation that you see here doesn't
9 show any kind of vernal pool-type signature on that aerial
10 photograph, plus this is all from what we've seen, sand
11 plain. So you need -- you don't get surface water sitting
12 upon the ground in small depressions in these kind of sandy
13 glacial outwash areas.

14 Q South of the Arctic anyway.

15 A Yeah, that's true, but --

16 Q But there are forested areas here.

17 A There are.

18 Q And those may hold vernal pools.

19 A They may. You're right.

20 Q And those pools may be sensitive to a very small change in
21 groundwater levels.

22 A Well, we would have -- if the pools were there, we would
23 have picked them up in the wetland delineation. They would
24 have been identified.

25 Q But only to the extent that they appeared within the

1 designated area that Kennecott provided for that
2 delineation.

3 A I agree.

4 Q So if there were vernal pools or other wetland types outside
5 of that delineated area, they would not have been picked up?

6 A That's correct.

7 Q And, indeed, outside of that area there are extensive
8 wetland systems within a mile or two of the mine site.

9 A Yes.

10 Q Do you agree with that?

11 A Yes.

12 Q Would you agree that, generally speaking, this area appears
13 to be very rich in wetlands?

14 A Yes.

15 Q Dr. Adamus testified a fair amount about fens as opposed to
16 other kinds of wetlands. Do you recall that?

17 A I do.

18 Q Do you share his opinion that fens are particularly valuable
19 in that they support diverse and unusual organisms?

20 A Yes, I do.

21 Q Are fens also particularly vulnerable to groundwater
22 drawdown?

23 A Yes, they are.

24 Q Am I right that you're not in a position to opine at all as
25 to the number or extent of the groundwater dependent fens

1 within, say, a mile of the mine site outside of the area
2 that you yourself looked at?

3 A That's accurate, yeah. I've not had an opportunity to do an
4 inventory outside the area that I did my work in. You're
5 correct.

6 Q Are fens or can fens be another example of a wetland in
7 which a fairly dramatic changes in, for example, plant
8 composition can be changed by the change in water level of
9 only a couple inches?

10 A I would say in my experience, no. Where I've seen
11 significant changes in vegetation in fens it requires an
12 order of magnitude two or three feet to really begin to get
13 the vegetation to start to shift.

14 Q Help me to understand the relationship between the sort of
15 average water level, which I think is what we've been
16 talking about all this time, and normal annual fluctuations.
17 As I understand it, the root zone is 12 inches.

18 A For some plants, yeah. For purposes of wetlands, 12 inches
19 is a good number to use, yes.

20 Q Okay. So to be a wetland, there has to be saturation of
21 some significant part of that 12 inches for some part of the
22 year.

23 A Yes.

24 Q If there are normal fluctuations from one year to the next
25 in an area that take -- that put the wetland at the edge of

1 being able to maintain hydrophytic plants, could it take
2 only a fairly small drawdown to push it over the edge?

3 A If you have a situation where you barely have a wetland
4 system; in other words, the wetland plants are codominant
5 with upland plants and that the soil is only saturated for
6 15 days in the upper 12 inches, if you had that scenario and
7 you took away the water for 10 or 15 days so it was never
8 saturated, for instance, then that's quite possible that
9 that wetland would tip the balance towards upland species.
10 The soils would still stay the same, but the hydrology would
11 go away, so technically you might be able to do that. And
12 that happens all the time. Wetland boundaries shift all the
13 time in the field, so the scenario you're describing is very
14 possible.

15 Q I gather the wetland area that you focused on doesn't --
16 none of the wetlands in there meet that description.

17 A That's correct.

18 Q None of them are borderline.

19 A None of them are borderline. The dominant wetland plant --
20 the wetlands are dominated by wetland plants. In other
21 words, there's not 50/50. We don't have a stand of black
22 cherry in among the tamarack. And the hydrology is
23 inundated -- as you can see it's inundated within 12 inches
24 of the surface the whole year long for some of those
25 wetlands, yeah.

1 Q But you're not in a position to opine as to the number or
2 extent of wetlands outside of the area you focused on that
3 might meet that description; namely, a groundwater dependent
4 wetland that's on the edge, and it could be profoundly
5 affected by a relatively small groundwater drawdown.

6 A Not without some more study. I think you're right; yeah.

7 Q You talked for a little bit about a subject that is near and
8 dear to the hearts of all Michiganders, invasive species.

9 A Uh-huh (affirmative).

10 Q I think we are the world champions at invasive species in
11 this state. And you pointed out that there are -- in
12 talking about the risk of an invasive to take over of
13 valuable wetlands, there are some impediments; is that --

14 A Yes.

15 Q That's my word, but is that okay with you?

16 A No, that's good; yeah.

17 Q One was you've got to have the seeds; right?

18 A Yes.

19 Q I mean, the seeds don't come from outer space. You've got
20 to have seeds in the area in order to colonize.

21 A Yes.

22 Q And you said that there -- you need to have some other
23 source of stress to that the invasive plant has some
24 advantage; did I understand you there?

25 A Yes; uh-huh.

1 Q And on the subject of stress you noted that a lot of the
2 trees in this forested wetland in the area you focused on
3 are facultative and actually a dry year or two does them
4 well.

5 A That's correct.

6 Q Now, that's going to be true for what they call obligates?

7 A That's true.

8 Q And obligates are plants that can only live in a wetland, or
9 as you put it: 99 percent of them live in wetlands.

10 A That's correct.

11 Q Okay. So if you do get a drawdown in an area that is
12 dominated by obligates, the stress impediment has been taken
13 away for an invasion by exotics; fair?

14 A That's a much more serious situation. That's fair to say,
15 yes.

16 Q And I gather in the wetlands that you focused on, there were
17 none that were dominated by wetland obligate plants?

18 A That's correct; yes.

19 Q You're not in a position to say the number or extent of
20 wetlands outside of that area but within a mile of the mine
21 site that are dominated by obligate wetland plants.

22 A Well, the wetland delineation report does give you an idea
23 of which of the wetlands are dominated by obligates. And my
24 impression of that report is that very few of them were that
25 kind of community. Basically the mixture of plant species

1 always had some sort of facultative wetland plant growing
2 among them.

3 Q But again that delineation report is limited to the acreage
4 that Kennecott prescribed?

5 A That's true.

6 Q So even it tells us nothing about the nature, extent or
7 quality of the wetlands outside that designate area?

8 A That's true. In order to go to that you'd have to go to the
9 National Wetland Inventory map that is prepared for
10 Marquette County.

11 MR. PREDKO: Could we just place an objection?
12 Counsel used the term "Kennecott prescribed," and the
13 witness said he didn't know.

14 MR. DYKEMA: The witness said he did not know.

15 MR. PREDKO: Yes.

16 MR. DYKEMA: That's a fair point. Thank you for
17 clarifying that.

18 MR. PREDKO: Thank you.

19 Q A moment ago you agreed with me that if a wetland is
20 dominated by obligates and there is a significant drawdown,
21 we have, vis-a-vis, invasive species problem on our hands.
22 Okay?

23 A The higher risk of invasive species, yes.

24 Q The higher risk.

25 A Uh-huh (affirmative).

1 Q Give me some -- my words were "a wetland dominated by
2 obligates." I assume that's an easy question, but give me a
3 sense of it. At what point would you be worried? Would it
4 be if you have 30 percent of the plant community as
5 obligates? 40 percent? 50 percent? Or is that even a
6 meaningful question?

7 A You know, it's a multi-variate risk assessment, only part of
8 which depends on the wetland ranking of the dominant plant
9 species. You need to, as I mentioned, take into account
10 whether the disturbance results in a bare soil. Does the
11 disturbance result in -- does the disturbance occur in a
12 setting in a wetland that's surrounded by other populations
13 of aggressive species? In other words, if we had two
14 wetland types, one on Harsens Island surrounded by
15 Phragmites and one in the Upper Peninsula on the Salmon
16 Trout River with hardly any invasive species, the same
17 changes don't necessarily bring with them the same levels of
18 concern because a drop in water level on the Salmon Trout
19 River where the obligates might be stressed, that opened
20 niche, if you will, that opened space in the wetland might
21 just as likely be colonized by facultative wetland species,
22 native facultative wetland species; whereas, on Harsens
23 Island, if you stop cutting the grass, the Phragmites will
24 take over down there. So I've used two extremes to kind of
25 illustrate the point, but I hope that you get the idea of

1 how the stresses themselves don't necessarily immediately
2 result in invasive species coming into the wetland.

3 Q I stand justly accused of grossly over simplifying, and I
4 plead guilty. On the first impediment that you mentioned
5 that the seeds have to get there, do you recall if the
6 environmental impact assessment paid any attention at all to
7 the question whether the introduction of heavy daily truck
8 traffic in this area might provide a vehicle for the
9 introduction of exotic seeds?

10 A I don't recall whether that is described in the EA. It is a
11 mechanism. It is a mechanism for introduction.

12 Q In your opinion is that a legitimate concern that should be
13 thought about?

14 A Well, for the wetlands that I studied, no, because we don't
15 have truck traffic going through it. We're not going to cut
16 any new roads through the area. Most of the heavy
17 equipment, the daily routine stuff is going on to the east.
18 So I'm not too concerned if --

19 Q How about for wetlands in the area where the trucks go by?

20 A You know, to the extent that those trucks are driving
21 through wetlands that have invasive species and then loose
22 the mud on the way to the mine site, yes, possibly.

23 Q It does happen, doesn't it?

24 A Yes.

25 Q In fact, isn't that a fairly common mechanism for the

1 dispersal of exotic plants?

2 A It's one of them, yeah.

3 Q Do you know if the pitcher plant is a listed species in
4 Michigan?

5 A That's a good question. I don't know.

6 Q Did you or your team happen to see any pitcher plants when
7 you were there?

8 A I did not see any pitcher plants.

9 Q I wrote down here and I put quotation marks around it so I'm
10 claiming that I heard you exactly, "Groundwater drawdown
11 will not harm this wetland system." Is that a statement you
12 made?

13 A Possibly, yes.

14 Q But you need -- to be precise, we'd need to qualify that by
15 saying that the groundwater drawdown projected by GeoTrans
16 will not harm the wetland system that you and your team
17 focused on?

18 A Yes. That's a valid clarification.

19 Q If the groundwater drawdown in the area you looked at for
20 the gentian is substantially greater than GeoTrans predicts,
21 would you agree with me that the gentian community there
22 could be put at risk?

23 MR. PREDKO: Same objection, your Honor. If I
24 could have a continuing objection then I won't interrupt the
25 testimony.

1 MR. DYKEMA: I have no objection to his continuing
2 objection.

3 JUDGE PATTERSON: Okay.

4 A Not necessarily because, you know, we -- in the survey of
5 where the gentian is growing, it is over a wide range of
6 moisture conditions. So it is quite possible that a more
7 significant drawdown, because it's mitigated by the
8 mechanism of surplus precipitation and groundwater, surface
9 groundwater, the shallow groundwater, it might be sufficient
10 to mitigate that. In addition, the populations along the
11 Salmon Trout River, they wouldn't be influenced by a greater
12 groundwater drawdown.

13 Q Would they be influenced if a groundwater drawdown resulted
14 in a loss of water in the Salmon Trout?

15 A Possibly. Possibly. But they still have that sort of
16 tolerance of dry conditions, sandy conditions. So it
17 depends a little bit on how much of a drawdown of the Salmon
18 Trout River plus where they are actually growing. If
19 they're growing in some of the muck, the zero to -- the
20 mucky soils that we found, they're going to be buffered
21 against that drawdown to a certain extent because that muck
22 soil has a little more holding capacity to it, a little
23 moisture holding capacity unlike a sandy soil which tends to
24 be fairly droughty. So some of those might be able to
25 tolerate a greater drawdown.

1 Q If you were persuaded that the groundwater drawdown was
2 going to be substantially greater and over a substantially
3 wider area than GeoTrans projects, would you want to revisit
4 your analysis of the potential impacts on the gentian?

5 A Yes.

6 MR. DYKEMA: Your Honor, I'm not going to finish
7 my cross-examination before lunchtime, and I think I may be
8 able to save us all a little time if I address a
9 technological issue while others have lunch.

10 JUDGE PATTERSON: Okay.

11 MR. DYKEMA: But I don't think I have more than
12 about an hour to go, so we will make an early day.

13 JUDGE PATTERSON: Okay. Want to come back at 1:00
14 o'clock?

15 MR. DYKEMA: That's fine.

16 (Off the record)

17 JUDGE PATTERSON: Okay.

18 MR. REICHEL: Judge, with Mr. Dykema's consent, I
19 just wanted to address a procedural matter here.

20 JUDGE PATTERSON: Okay.

21 MR. REICHEL: Because of a scheduling conflict, I
22 may need to leave early today. I've asked one of my
23 colleagues, Assistant Attorney General Dan Bock, B-o-c-k,
24 who is seated with me, to sit in for me for the remainder of
25 today's proceedings.

1 JUDGE PATTERSON: Okay.

2 MR. REICHEL: Thank you.

3 Q Dr. Tilton, we're looking at a passage from a piece that you
4 and others authored that Dr. Adamus commented on. And in
5 the middle of that passage, I've highlighted the phrase,
6 "Wetlands are the most important habitat for wildlife in the
7 Great Lakes region." Do you believe that today?

8 A Yes, I do.

9 Q At the end of the passage that's quoted in our slide number
10 1, it states that:

11 "Alteration to microbial habitats alters regional
12 patterns of mineral cycling and can cause an increase
13 in nutrient loading to contiguous lakes and streams."

14 Can you explain how that increase in nutrient loading
15 happens?

16 A Well, one of the most common mechanisms is that there's an
17 alteration of the nitrogen cycle. And what can happen is
18 that, if -- there's a component of the nitrogen cycle that
19 is mediated by certain species of bacteria that occurs in
20 anaerobic conditions. And it's the process by which
21 bacteria take nitrate, a molecule of nitrogen that's
22 dissolved in the water, metabolize it and convert it into
23 nitrogen gas, either nitrogen N₂ or nitrous oxide, and
24 release it into the atmosphere. So by virtue of doing that,
25 nitrate, which can be a limiting nutrient in certain aquatic

1 systems, is removed and transported to the atmosphere where
2 it just becomes part of the nitrogen pool. So that
3 reference right there refers to the possibility if you alter
4 the microbial habitat so that the denitrification is no
5 longer active, that you -- then that nutrient -- the nitrate
6 is now free to migrate down to the -- in the lake or stream.
7 That's what it refers to.

8 Q Am I right that anaerobic conditions are one of the
9 hallmarks of a wetland?

10 A Yes; uh-huh.

11 Q And hence that is one of the critical environments for
12 anaerobic bacteria?

13 A Yes.

14 Q And anaerobic bacteria play a critical role in the nitrogen
15 fixing cycle?

16 A That's correct. Nitrogen -- well, the nitrogen cycle.
17 That's true. The nitrogen fixing part of it is also true,
18 but it's a little broader than that. It's both the
19 denitrification as well as the nitrogen fixing.

20 Q Am I right that wetlands also serve an ecological function
21 in that they store metals and other toxins?

22 A Yes.

23 Q And if a wetland is desiccated and the soil is washed out
24 into surface waters, does the introduction of those metals
25 and other toxins represent a potential adverse effect to

1 wetland loss?

2 A Hypothetically, yes; that's correct.

3 Q I gather you don't believe that that's a risk in the
4 specific area of wetlands that you looked at in this matter?

5 A That's correct.

6 Q But you're not in a position to opine as to whether that
7 might be a risk at other wetlands in the area of the mine?

8 A Yes, not ones that I haven't studied. That's correct.

9 Q Dr. Tilton, let me give you a moment to read the text that's
10 reproduced on slide number 4.

11 (Witness reviews slide)

12 Q Is there anything in the language that we've excerpted from
13 this paper by Bedford and Godwin with which you disagree?

14 A No.

15 Q And are the statements made by Bedford and Godwin here any
16 less true of fens in the Upper Peninsula of Michigan than
17 they are of fens elsewhere?

18 A No.

19 Q I believe you testified that you reviewed the appendix to
20 the environmental impact statement that comprised a survey
21 of threatened and endangered species?

22 A Prepared by North Jackson or was that the Wetland and
23 Coastal? I think it's Wetland and Coastal that's in the
24 appendix?

25 Q I believe that right.

1 A Yeah.

2 Q I will represent to you that it was Wetland and Coastal
3 Resources, Inc.

4 A Okay. Yes.

5 Q And do you recall that, in the context of that study,
6 Wetland and Coastal did an analysis of several sites under
7 the Floristic Quality Index?

8 A Oh, yes; yes.

9 Q Okay. Can you briefly explain to what the Floristic Quality
10 Index or FQI is intended to do?

11 A Okay. Imagine that you go into a plant community and you
12 get a list of all the plant species that might be in that
13 area within eyesight. What the botanists worked out several
14 years ago, several really respected field botanists in the
15 state, is to try to come up with -- if you look at different
16 wetland community -- or any kind of plant community
17 assemblage, what's the degree of, for lack of a better term,
18 naturalness or weediness of that plant community; in other
19 words, what's the floristic quality. And what they tried to
20 do is they tried to say, look, there are some species that
21 are rare or threatened. There are some species that are
22 considered native. There are some considered weeds because
23 they were brought in. And then there are invasive species.
24 So they gave the native rare plants the highest floristic
25 quality score, and they gave the weeds the lowest floristic

1 quality score.

2 Q Even lower than the exotics?

3 A I'm using weeds and exotics sort of interchangeably, yeah.
4 So then the idea is that you take your plant list and you go
5 through some mathematical manipulations and you come up with
6 a single number that describes the floristic quality of that
7 plant community. And in that way, the idea is that we sort
8 of have a yardstick by which a single number is meant to
9 describe the floristic quality of the plant community you
10 look at.

11 MR. DYKEMA: Number 7.

12 Q Thank you. This is two quotes that Dr. Adamus excerpted
13 from the Michigan Natural Features Inventory publication.
14 Is it your consistent with your understanding that the MNFI
15 regards wetlands in the 50's as extremely rare and areas
16 with an FQI higher than 35 as floristically important from a
17 statewide perspective?

18 A Yes. That is my understanding, yes.

19 Q All right. Now, of the sites that Wetland and Coastal
20 Resources applied the FQI to, do you happen to recall how
21 many included wetlands?

22 A I don't, no. I'm sorry.

23 Q That's fine. Let's go to slide 6. These are three portions
24 from the EIA, Appendix F, the threatened and endangered
25 species assessment. And these excerpts describe habitat

1 area B, habitat area E and habitat area F. And do you see
2 for habitat area B it states in the second sentence that,
3 "Both wetland and upland habitats occur within this area"?

4 A Yes, I do.

5 Q And area E, it describes three different types of bogs?

6 A Yes.

7 Q And habitat area F includes emergent sedge meadow and scrub
8 shrub wetlands adjacent to the Salmon Trout River?

9 A Yes.

10 Q Okay. So would you agree with me that these three areas at
11 least include wetlands if they're not entirely wetlands?

12 A Yes, I do.

13 Q Now, can we go to slide 8? Dr. Tilton, you were here when
14 Dr. Adamus testified, so you may recall this excerpt from
15 the same Wetland and Coastal Resources work. It is their
16 Table 3.2. And this sets out their FQI values?

17 A Yes. I do recall the slide, yes.

18 Q Okay. And do you see that area F, which is described as
19 emergent sedge meadow and scrub shrub wetlands, gets a score
20 of 56.5 and under all plant species 55.6?

21 A Yes, I do.

22 Q And under the Michigan Natural Features Inventory system,
23 that location would be scored as extremely rare?

24 A Yes.

25 Q And the -- full disclosure here. Those arrows are not in

1 the original Table 3.2. I added those with my crayolas.

2 A Okay.

3 Q But you see the other two wetlands, area B and area E.1,
4 score north of 40?

5 A Yes.

6 Q And that, under the MNFI system, would characterize those
7 areas as possessing sufficient conservationism and richness
8 that they are floristically important from a statewide
9 perspective?

10 A I agree with that.

11 Q Okay. And is -- the area F, I believe, is in the -- in or
12 close that based on the description the area that you
13 focused on?

14 A Yes; that's correct.

15 Q And would you agree with me that -- would you agree with the
16 suggestion of the FQI index approach that that is
17 exceptionally rare real estate?

18 A The habitat F is extremely rare in terms of its quality --
19 in terms of its floristic quality. The species composition,
20 that makes it extremely rare. But the important distinction
21 in my mind is that the wetland type is not rare.

22 Q Understood.

23 A Okay.

24 Q But is the extraordinary -- well, does a high FQI index
25 allow us to characterize an area at least from a botanical

1 point of view as pristine?

2 A No, not necessarily pristine meaning lack of disturbance or
3 no disturbance whatsoever. It just allows you to describe
4 it as being dominated by native plant species. Take a look
5 at the column up there, native plant species. That is a
6 very good score. And I don't mean to diminish the quality
7 of the wetland. I'm just trying to put it in context.

8 Q I understand. Is that quality of the wetland likely to be a
9 significant part of the explanation for why the
10 Narrow-leaved Gentian is relatively abundant there?

11 MR. PREDKO: I'm just going to place an objection,
12 your Honor. I believe it mischaracterizes the evidence.
13 There's been no evidence in this case to show that the
14 Narrow-leaved Gentian is actually abundant in any one of
15 those three areas.

16 MR. DYKEMA: I'll rephrase.

17 Q I believe you testified -- and correct me if I'm wrong --
18 but one of the reasons why you do not believe this mine is
19 going to have a substantial adverse effect on the
20 Narrow-leaved Gentian in the area that you studied is
21 because it's relatively abundant there? Did I hear you
22 correctly?

23 A That is one of the factors, yes.

24 Q One of the facts.

25 A Uh-huh (affirmative).

1 Q Okay. Is the high quality of the wetland as reflected in
2 its extraordinary FQI value likely one of the reasons why
3 the Narrow-leaved Gentian is relatively abundant there?

4 MR. PREDKO: Same objection, your Honor. There's
5 been no evidence to show that the Narrow-leaved Gentian is
6 abundant in these areas that Mr. Dykema has taken off of
7 this slide that depict a high FQI. There are certain other
8 areas that have lower FQI's. And it's not been established
9 whether the Narrow-Leaved Gentian exists in lower FQI's,
10 higher FQI's or both. There's nothing in the record.

11 MR. DYKEMA: Your Honor, I think I have laid the
12 foundation. But if Dr. Tilton wants to clarify the subject,
13 he's fully able to.

14 JUDGE PATTERSON: I'll allow him to answer.

15 A The -- this number is not a -- it's not a causative factor
16 in the distribution of Narrow-leaved Gentians.

17 Q Of course not.

18 A What it is is sort of a reflection of the fact that, well,
19 this is a really nice wetland. It's got a lot of native
20 species. Narrow-leaved Gentian can occur in 17.4 just as
21 well if the habitat were right for it, namely that it's got
22 that sort of sedge associates, even some of the sand and
23 gravel. So, I mean, just to say that Narrow-leaved Gentian
24 is limited to the extremely rare areas is not fair. It's a
25 much broader distribution. It may be there, and it may

1 contribute to that high number. But that high number is
2 not -- it's sort of the opposite. That high number doesn't
3 mean that's where Narrow-leaved Gentians are going to be
4 limited to, because they found them in some dry and gravelly
5 that, I doubt, had 56-1/2 as an FQI.

6 Q I'm interested in the two different columns in Table 3.2 of
7 the Wetland and Coastal Resources analysis. As I look down
8 the two columns, I see either no difference or fairly small
9 differences between the two values. Is that a fair
10 characterization?

11 A That is a fair characterization, yes.

12 Q And am I right that that reflects that there is very little
13 presence of exotic species?

14 A That's correct.

15 Q So the entire area surveyed has very high natureness, as you
16 put it?

17 A Yes, in terms of the flora. Yes.

18 Q Do you have any reason to believe that the fauna is not
19 comparably natural and rich?

20 A No, I don't. I don't have any basis to believe that.

21 Q We've been talking mostly about plants. But -- and while
22 you're not an expert in animals to the same extent you are
23 an expert with respect to plants, is it also true that
24 wetlands support a broad variety of animal wildlife?

25 A Yes, it is true.

1 Q And is it true in Michigan that wetlands support several
2 state-listed animal species?

3 A Yes.

4 Q Am I right that the mine site -- the proposed mine site is
5 located underneath the headwaters of the Salmon Trout River?

6 A A portion of the headwaters. You're correct in that; yes.

7 Q And is it close to the headwaters of the Yellow Dog?

8 A Well, I don't know about close. It's -- let's say it's in
9 close proximity.

10 Q Okay. That's fair.

11 A It's within -- yeah. Let's leave it at that.

12 Q Okay. So the wetlands that you looked at and surrounding
13 wetlands are part of the headwater complex of the Salmon
14 Trout River?

15 A Yes.

16 Q Dr. Adamus testified and invoked some literature to support
17 the point that headwater wetlands are especially important;
18 do you agree with that?

19 A I do.

20 Q Why is that?

21 A Well, there are a couple of different reasons for them.
22 Taken as a whole, when you look at the wetland complex, they
23 do a couple of different things. First of all, they -- in
24 some situations where there's groundwater discharging from
25 wetlands, they help buffer the flow of the streams so that

1 they -- you know, the old days we used to think they acted
2 as sponges sort of slowly soaking up water -- slowly letting
3 water leak out. Since then, researchers, especially in
4 Wisconsin, have helped clarify that analogy so that we
5 recognize that some wetlands provide that function; other
6 wetlands don't provide it at all. They provide this
7 biogeochemical function that I described earlier where they
8 collectively in lots of different locations in the
9 headwaters filter sediment, remove nutrients, take out
10 contaminants, trap metals. They are frequently in their
11 headwater position especially for certain species of fish
12 very important from a spawning perspective and a nursery
13 area. And then there's also some pretty good evidence now
14 emerging that describes their capacity as sort of jump
15 starting through the release of nutrients and dissolved
16 carbon the cycle of life, if you will -- that's a little too
17 broad a perspective. But what they do is they release
18 phosphorus and dissolved carbon out into the stream in the
19 spring so that aquatic insects, young of the year fish,
20 tadpoles, young of the year amphibians have algae to chew
21 and eat and survive. So that flush of nutrients is viewed
22 by some as sort of jump starting the cycle of life for a lot
23 of organisms. So it's sort of, to summarize, everything
24 from hydrologic all the way down to habitat for fish and
25 wildlife.

1 Q Dr. Adamus invoked a passage from a paper from the North
2 Carolina Division of Water Quality. And it -- well, let's
3 put up slide 10.

4 (Witness reviews slide)

5 Q Dr. Tilton, do you agree with the statement that I've
6 highlighted -- or that Dr. Adamus highlighted at the end of
7 this excerpt which reads, "Therefore maintaining the
8 ecological integrity of these system" -- and by that is
9 meant headwater wetlands -- "is necessary to protect the
10 quality of the entire downstream watershed." Generally
11 speaking, do you agree with that statement?

12 A Generally speaking, I do.

13 Q Do you have any reason to believe that that statement is
14 less true of the wetlands at the headwaters of the Salmon
15 Trout River than it is at other rivers?

16 A No; no, I don't.

17 Q We've talked a little bit about groundwater modeling and the
18 GeoTrans modeling that you relied upon. Generally speaking,
19 if groundwater levels are reduced, does that result in a
20 reduction or lowering of the surface water in wetlands that
21 lie above them?

22 A Not necessarily, no.

23 Q But my question wasn't whether it necessarily does. My
24 question is, generally speaking, do those two things happen
25 together?

1 A Yeah. But the phrase "generally speaking" to me -- you
2 know, I can think of so many places where that doesn't occur
3 that -- in terms of wetlands that I have a hard time
4 answering it for you.

5 Q Okay. Let me limit it, then.

6 A Okay.

7 Q If we're talking about fens, would you agree with me that,
8 generally speaking, the water level in a fen will go down if
9 the groundwater level below it goes down?

10 A No. I don't agree with that.

11 Q Okay. On direct examination, you discussed a little bit the
12 ability of wetlands that have been dewatered -- my word, not
13 yours -- to recover if the water is restored to them.

14 A Yes.

15 Q And you pointed out that, in fact, it's possible by human
16 intervention to reestablish a wetland and to reestablish
17 native plant communities there.

18 A Yes.

19 Q Would you agree with me that wetland restoration is often
20 difficult and is not invariably successful?

21 A It's difficult. It's always successful in terms of
22 reestablishing hydrology. It doesn't always result in plant
23 communities that -- right away that you expect. You
24 sometimes have some unexpected outcomes in terms of plant
25 communities established. And I'm not just talking of my

1 work now. I'm talking, of course, of the work by many
2 conservation groups and the federal government and all the
3 wetland restoration work that goes on. Some are easier to
4 restore than others. And that's why I sort of picked apart
5 your statement a little bit.

6 Q Let me focus in on the first part of your answer, which was
7 that you can always restore the hydrology.

8 A Yes.

9 Q I don't know. The biological community may be a little
10 harder to control?

11 A Yes.

12 Q If as a result of an underground excavation the connection
13 between the groundwater and the surface water in the fen is
14 broken, you can't assure anyone of your ability or anyone
15 else's ability to re-create that fen, can you?

16 A Well, no. It depends on the nature of interruption. If the
17 groundwater has been drawn down by virtue of inserting a
18 source of disturbance that takes water out of the system for
19 a short period of time and then you stop doing that so that
20 the balance of precipitation and inflow of groundwater can
21 be restored, then it can come back. If --

22 Q Would --

23 A I'm sorry.

24 Q No. It's my duty to let you finish your answer.

25 A Okay. If on the other hand you've done something in the

1 process of -- let me -- let's say that you punctured a silty
2 clay layer so -- or you did something significant to the
3 hydrology in such a way that the groundwater pattern and the
4 distribution, the balance between groundwater and
5 precipitation is permanently disrupted, that's more
6 difficult. Yes.

7 Q That's what I was getting at.

8 A Yeah. That's more difficult. But if it's you have a pump
9 in the ground and you're pumping groundwater out and you
10 don't alter any of the stratigraphy underneath that wetland
11 upon which the wetlands depended, if you just turned the
12 pump off, in my experience, that's usually adequate to
13 restore the hydrology of the won't.

14 Q It's my understanding -- and I want you to correct me if you
15 have a different understanding -- that the GeoTrans modeling
16 does not purport to project for how long a period of time
17 their predicted drawdown will occur.

18 A My recollection is that I agree, that it does not. What it
19 does is it projects a drawdown based on a water withdrawal
20 rate. But they don't have a temporal variable that I can
21 recall.

22 Q Staying on this subject of restoring wetlands, if a fen is
23 dried out and the soil is washed away, will that wetland
24 naturally return to being a fen or can it?

25 A That is a little more of a difficult restoration project.

1 Technically the fen is defined as a wetland type dominated
2 by groundwater inputs. So the fact that the soil has
3 been -- we're talking hypothetically now. The fact that the
4 soil was maybe mined for peat mining or something of that
5 sort, that stops and now you bring the water level back. It
6 meets the definition of a fen. But you're going to have a
7 difficult time getting the vegetation reestablished without
8 the soil present. Because the organic really does in a way
9 influence the types of plant species that you get there.
10 There are some fens that I've restored where the peat had
11 been taken down, and we got right into the marrow or the
12 sort of calcium carbonate silty clay that underlay the peat.
13 Once we brought the water level back, the fen was growing.
14 It just had different species growing there than we were
15 growing before.

16 MR. DYKEMA: Can I have slide 13?

17 Q Dr. Tilton, Dr. Adamus excerpted a piece from page 37 of the
18 environmental impact assessment. Take a moment to review
19 this, and I'll have a question about it.

20 (Witness reviews slide)

21 A Okay.

22 Q I'm interested in the second half of this where the authors
23 wrote -- by the way, were you the author of this?

24 A I don't recall writing this. I'm not sure who was the
25 author of this.

1 Q I'll read it.

2 "Because Wetland Complex 6 is a wetland upland
3 complex, there are both groups of plant species in
4 close proximity to one another. Upland species, under dryer
5 soil conditions, would grow from seeds already present
6 in the soil or spread rhizomatously from dryer to
7 former wetland positions. The former wetlands would
8 remain vegetated."

9 And then I have a lacunae there indicating that's not the
10 end of the sentence. Do you read this to acknowledge that,
11 under these conditions, a wetland would be lost and would be
12 replaced by a different ecosystem?

13 A Well, that a wetland could be lost. I think that's what
14 they're trying to describe in this assumption.

15 Q Am I right that the only potential adverse wetland impact
16 that you considered was groundwater drawdown?

17 A Yes; that's correct.

18 Q Okay. And I'll note by way of a footnote that you also
19 considered some other impacts on the threatened plants?

20 A Yes.

21 Q But you considered that they're not going to be driving
22 trucks over them and so on?

23 A Yes.

24 Q But in looking at the wetlands -- clay wetlands, the only
25 potential adverse impact that you studied was groundwater

1 drawdown?

2 A Yes. It was my understanding from the beginning that
3 there'd be no fills or anything of that sort, that the major
4 disturbance to these particular wetlands, there wouldn't be
5 any vegetation clearing, there wouldn't be any cutting of
6 trees or opening up of spots. The only thing that was going
7 to be changing would be the groundwater levels.

8 Q How about acid mine drainage? Did you consider the
9 potential impact of -- well, let me back up. Are you
10 familiar with the term "acid mine drainage"?

11 A Yes, I am.

12 Q Okay. Did you consider the potential impact of acid mine
13 drainage on wetlands in the areas surrounding the mine site?

14 A No, I did not.

15 Q Were you told not to?

16 A No. In fact, acid -- wetlands are used to treat acid mine
17 drainage in many parts of the country. So there wasn't a
18 limitation on my part. It was just that it was not -- based
19 on where the mine was and where the rock was going to be
20 handled and where these wetlands were, we didn't see acid
21 mine drainage as a significant source of impact.

22 Q So did you and your colleagues perform an analysis of the
23 likelihood of acid mine drainage?

24 A No.

25 Q Did you perform an analysis of the likely impacts should

1 acid mine drainage occur?

2 A No.

3 Q Did the environmental impact assessment consider potential
4 impacts on wetlands should acid mine drainage occur?

5 A I don't know. I don't know whether that was part of it.

6 Q How about airborne contamination? Did you or any of your
7 colleagues consider the potential impact on area wetlands
8 should this mine emit significant quantities of airborne
9 metals and sulfur-causing compounds?

10 A No. That wasn't part of our charge.

11 Q Okay. Were you asked to assume that that wouldn't happen?

12 A No.

13 Q Did the environmental impact assessment, to your
14 recollection, evaluate the potential impact of toxic metals
15 and sulfur-causing compounds in airborne particulates?

16 A I don't recall.

17 Q How about subsidence? Do you consider or were you asked to
18 consider what impact on area wetlands might result if the
19 mine caved in?

20 A No, I wasn't asked to evaluate that.

21 Q Mr. Predko asked you some questions about Dr. Adamus'
22 opinion regarding the possibility of very rapid damage to
23 area wetlands; do you recall that?

24 A I do.

25 Q Okay. And this was in the context of the conditions that

1 the DEQ has imposed in the permit?

2 A Yes; that's right.

3 Q And correct me if I'm wrong. But if I understood your
4 point, it was that the kind of immediate wetland destruction
5 that Dr. Adamus was describing is not likely here because
6 the wetlands you looked at were dominated by facultative
7 plant types?

8 A Well, that's the major mitigating element. But the
9 vegetation should be encounter a drawdown -- unexpected
10 drawdown in the water table that reflects its way up to the
11 surface of the wetland, the major mitigating factor is the
12 fact that the wetland plants had quite a bit of tolerance of
13 moisture conditions.

14 Q So your opinion on that subject wouldn't necessarily apply
15 to wetlands other than those you studied in which obligate
16 species dominate?

17 A Well, yes and no. Some of the obligate plants that exist
18 out there are things like leather leaf, which is a shrub.
19 And although it's ranked obligate, it is pretty tolerant of
20 some water level changes. And actually another species,
21 Carex -- well, a group of species lumped under the genus
22 Carex is also -- responds well to changes in hydroperiod.
23 But some of the obligate plants like water lilies or some of
24 the pond weeds that grow in the Salmon Trout River, for
25 instance, they would experience some adverse impacts should

1 a water table drop occur greater than what we had modeled.

2 Q Going back to the restoration of wetlands that have been
3 damaged, did the Environmental Impact Assessment provide any
4 guidance or outline any procedures by which damaged wetlands
5 would be restored?

6 A I don't believe it was dealt with in any detail, other than
7 to just describe how those impacts could be mitigated once
8 the mining was complete, during the restoration phase of the
9 project.

10 Q Have you reviewed any of the rock mechanics studies that
11 have been performed when trying to characterize the rock
12 mass in the area of the mine?

13 A No, I haven't.

14 Q Do you have any understanding of the extent to which the
15 rock mass surrounding the mine is characterized by faults?

16 A I have -- you know, other than the day that I sort of spent
17 in the overlap of the witnesses, that's the only exposure
18 I've had to the rock mechanics.

19 Q But groundwater modeling is something you have more than a
20 passing familiarity with?

21 A Yes. But I'm not an expert in it. I mean, I understand
22 wetland hydrology, but the nuances of creating the
23 groundwater model I leave to the experts.

24 Q Is it your understanding, based on your experience with
25 those experts, that groundwater modeling is an uncertain

1 business?

2 A Not when you're talking with them. They seem to be pretty
3 confident as to what's going on.

4 Q But that's also true of economists?

5 A It's probably true of wetland ecologists, too, to a certain
6 extent. But, you know, it's like anything else. They are
7 trying to make sense of a complex situation, so there must
8 be some uncertainty associated with it.

9 Q Given those uncertainties, would you agree with me that the
10 area of wetlands that could potentially be harmed by this
11 mine extends well beyond the project boundaries?

12 A Well, you know, almost -- just from my perspective, the rate
13 at which they're ground -- taking water out of the ground, I
14 just don't see how that's a possible scenario.

15 Q But it's certainly possible that that rate is
16 underestimated, isn't it?

17 A I've heard people say that it's been underestimated, yes.

18 Q If well-qualified professionals are of the opinion that it's
19 seriously underestimated, would you agree with me that the
20 area in which wetlands could be adversely affected by this
21 mine potentially extends well beyond the mine site itself?

22 A Well, I guess what I'd agree is that if you want me to
23 review another scenario at a much higher groundwater
24 withdrawal rate, I'd need to do that in order to conclude --
25 or to make a statement as to what the condition of the

1 wetlands under that scenario is going to be. I would agree
2 with you that if we changed the groundwater withdrawal, we
3 should recheck our evaluation of wetland conditions.

4 Q In the context of that recheck would you want to look at the
5 nature and extent and quality of wetlands over a much larger
6 area?

7 A Yes. Because that's -- it all depends what the modelers
8 tell me. If the cone of depression spreads out under this
9 new scenario, then I'd want to see where it intercepts the
10 other wetland boundaries, and we should go pick up those
11 wetland boundaries. But if the cone of depression is still
12 real tight and that -- those drawdown curves don't go out
13 significantly, then it may be that I've already looked at
14 the wetlands I need to look at.

15 Q Fair enough. I'd like to ask you just a couple of questions
16 about the Jackson studies. There was the original study and
17 then the two follow-ups?

18 A Yes.

19 Q And I believe you testified that one of the things you did
20 when you went out and spent a couple days examining the
21 wetlands yourself was, you did kind of a quality check on
22 Jackson's work?

23 MR. PREDKO: Objection. I think it
24 mischaracterizes his testimony. I think he testified that
25 as to the Wetland Coastal Reports, not as to the North

1 Jackson Reports.

2 MR. DYKEMA: Oh, I'm sorry.

3 Q Is Mr. Predko right?

4 A That's correct, yeah.

5 Q Did I get that wrong? Okay.

6 A It was the wetland delineation that I was going out to do a
7 quality check on and make -- just to see if the boundaries
8 were accurate, because I've got to rely on those boundaries.
9 It was the North Jackson Report that I reviewed to see where
10 the piezometers had been installed and to see what kind of
11 water levels we were dealing with.

12 Q Thank you. And I apologize for my own confusion.

13 A That's okay.

14 MR. DYKEMA: Dr. Tilton, I have no further
15 questions. I thank you very much for your patience and
16 cooperation. I gather my partner in crime, Ms. Halley, has
17 a few questions for you.

18 THE WITNESS: Thank you.

19 MS. HALLEY: Hi, Dr. Tilton. I'm Michelle Halley,
20 representing the National Wildlife Federation and the Yellow
21 Dog Watershed Preserve. I have just a few questions if
22 you'll stick with me for a few minutes?

23 THE WITNESS: Okay.

24 CROSS-EXAMINATION

25 BY MS. HALLEY:

1 Q Mr. Dykema asked you if you had considered the potential
2 impacts of sort of a cave-in of the roof of the mine,
3 catastrophic subsidence event; right?

4 A Yes.

5 Q And you said you had not done so?

6 A And I had not; that's correct.

7 Q I'm left wondering, though, if you've considered the impacts
8 of a far less drastic subsidence scenario, where it's a
9 slower and more gradual process than a catastrophic failure
10 of the crown pillar?

11 A Well, we've only, you know, considered it in the context of
12 a very small amount, though; I mean, like, only several
13 inches; certainly nothing like the kind of magnitude that
14 you read about in the newspaper or the project I worked on
15 in Grosse Isle where they actually had a catastrophic
16 failure of some brine solution mining. So it's in that
17 context that we sort of thought about what would happen to
18 the wetlands with only a several-inch drop in subsidence.

19 Q What did you conclude?

20 A That again it would be not a significant adverse impact in
21 the context of the way the wetlands are working with their
22 hydrology and the fact that they are not isolated, so that
23 they're all sort of sloping down to the river. So if the
24 elevation of the wetlands and the uplands; in other words,
25 the whole unit drops; that it will be an insignificant

1 effect.

2 Q What if only a portion drops? Let's say we're looking at
3 the footprint of the crown pillar. That's sort of the red
4 irregular ovalish shape we've seen. What if only a portion
5 of that subsides bits at a time?

6 A I mean, I think the one thing that could happen is that it's
7 possible that you could get sort of like a depression
8 forming in this slope. But again, suppose there's a
9 depression and it slumps a little bit. As long as there's
10 still an outlet for that water to sort of flow into it and
11 then flow out, we didn't anticipate a lot of vegetation
12 change, a lot of accumulation of water, because there would
13 always be an outlet available to -- for the water to flow
14 down to the Salmon Trout River.

15 Q Now, correct me if I'm wrong, but did you analyze -- well,
16 let me back up. My understanding of your analysis of
17 looking at the impacts of the diminution and flow of the
18 stream is limited to the predictions done by GeoTrans in
19 their latest model; is that correct?

20 A Yes.

21 Q And did you look at a range beyond what GeoTrans predicted?

22 A No, we haven't; no, we haven't done that -- any significant
23 study.

24 Q Now, are you aware that there's wild rice growing in the
25 Salmon Trout River right in that vicinity where you studied?

1 A I did. I was aware that -- I think Wetland Coastal
2 Resources reported that species in their reports.

3 Q And what would the impacts on the wild rice be if this
4 diminution in stream flow occurred and the potential
5 drawdown of the wetlands?

6 A Well, the magnitude that GeoTrans is predicting, which is
7 what I have to go on, that's such a small drop in flow and
8 level that I don't think it will have any significant impact
9 on wild rice populations. You need a much more significant
10 change in water chemistry or water level to effect an impact
11 on the population.

12 Q That analysis is based on the inflow of 60 gallons per
13 minute; correct?

14 A Yes. And then the resulting reduction in flow in the Salmon
15 Trout River, yes.

16 MS. HALLEY: I have no further questions. Thank
17 you.

18 MR. PREDKO: Dr. Tilton, I do have some follow-up
19 questions for you.

20 REDIRECT EXAMINATION

21 BY MR. PREDKO:

22 Q You were asked some questions about FQI, Floristic Quality
23 Index?

24 A Yes.

25 Q And you agreed that areas with an FQI in the 50's and higher

1 are extremely rare?

2 A I did, yes.

3 Q And Mr. Dykema pointed out to you one area in the Westland
4 Coastal Resource Report that was in the 50's, a 56.5 for
5 Area F. Do you recall that?

6 A I do.

7 Q I'll put up on the screen for you the Aerial Wetland Coastal
8 Resource Habitat Location Map as soon as technology warms up
9 here. Now, the hard copy document I have in front of me,
10 and I can offer this to you if that version on the screen is
11 unreadable. It indicates that Area F -- and I will use my
12 pointer -- is indicated by kind of a light blue area that
13 runs along the river?

14 A Right. That's my recollection of their report as well.

15 Q And what kinds of wetlands are in that area?

16 A It's a combination of emergent, sedge meadow, scrub shrub
17 wetlands all along the Salmon Trout River.

18 Q And that's the area, according to Wetland Coastal's Report,
19 and the only area that is above an FQI value of 50?

20 A That's correct.

21 Q And if we could go back to --

22 MR. DYKEMA: Can you leave that up there for just
23 a sec? Are we looking at the same thing?

24 MR. PREDKO: Yeah, for the record, what I was
25 looking at is from the 2004 Wetland Coastal's Threatened and

1 Endangered Species Assessment, Figure 3.2 to that, which is
2 entitled "Habitat Location Map." And for the record it's
3 Intervenor 12, KEMC 109206.

4 MR. DYKEMA: Thank you. And please forgive the
5 interruption.

6 Q If we could go back to slide 18 of your PowerPoint exhibits,
7 and Dr. Tilton, can you tell me where this area of riverine
8 wetland is with respect to the predicted drawdown estimated
9 by GeoTrans?

10 A Yes. The blue area, the one with the very high floristic
11 quality index, lies in this light green all the way down
12 through here (indicating) and then on down the river. And
13 you'll notice that the predictions on the groundwater
14 drawdown just barely touch it right there (indicating); that
15 the bulk of this wetland, with its high floristic quality
16 index, is outside the zone of impact. And it's unlikely
17 that that's going to receive any drawdown, given the
18 quantity of water that's passing through the river there.

19 Q And so what is your opinion on whether the drawdown as
20 predicted by GeoTrans is going to have an effect on the
21 floristic quality index of that area?

22 A Well, I think that the key is that in my opinion the highest
23 quality plant communities along the river will be protected
24 during the mining operations, by virtue of this modeling of
25 the drawdown.

1 Q I've put up on the screen here again -- this is the figure
2 from Wetland Coastal's Wetland Delineation Report.

3 A Yes.

4 Q And could you again, with your laser pointer -- what I'd
5 like you to do first is to point out your area of study.

6 A Well, as I mentioned, we sort of went from here (indicating)
7 up to about there with detailed study of hydro geology and
8 soils and vegetation right in through here. This is the
9 area where all the piezometers were located. But we
10 basically confirmed this wetland boundary all the way from
11 here down to there.

12 Q And Mr. Dykema asked you some questions about something
13 along the lines of, "Well, if there are fens or vernal pools
14 that are outside of your study area that you don't know
15 whether they exist here close to the mine site" -- do you
16 recall that line of questioning?

17 A I do.

18 Q And is that true?

19 A Well, I mean, I question that. The study by Wetland Coastal
20 Resources, it's more than a study. I know the professionals
21 personally who did the work. The report is very good and
22 those people are very good. And if there were vernal pools
23 up in here (indicating) or even in this area between these
24 two wetlands, they would have found them. This is a very
25 thorough study. I mean, they found that (indicating) little

1 wetland; they found these little wetlands right here. They
2 broke up the wetland complex right there into these little
3 upland pieces. So it gives you an idea of the scale that
4 they were working on. I mean, look at the little wetlands
5 that they found in this area of the site. So it's not as if
6 they were just going through broad stroke across the
7 countryside, not worrying about the little things that occur
8 at a vernal pool kind of scale. And if they existed here
9 (indicating) or here, I'm sure they would have found them.

10 Q And in another line of questioning, Mr. Dykema was asking
11 you about the groundwater drawdown effects on areas that may
12 be outside of your focus study area. Do you recall those
13 questions?

14 A I do.

15 Q And if we could put slide 18 -- now, looking at this slide
16 18 which has the GeoTrans drawdown on it, are there any
17 wetlands, other than the ones that you studied, within the
18 potential drawdown estimated by GeoTrans as shown on slide
19 18?

20 A No; no, there isn't.

21 Q Dr. Tilton, have you been involved in other cases involving
22 wetlands where the DEQ, by way of permit, has in fact
23 authorized the destruction or alteration of wetlands?

24 A Well, yes. But we don't like to use the word "destruction."
25 We sort of think of them as a use; that you get permission

1 to fill a wetland so that you can use it for something. You
2 have to go through a fairly involved process. But
3 eventually if you demonstrate to them that there are no
4 prudent and feasible, you can get permission to fill a
5 wetland, as long as you agree to replace the functions and
6 values of that wetland through one of various approaches.

7 Q Now, does the permit here in this case anticipate or
8 authorize any such disruption?

9 A No, it does not.

10 Q In your opinion, Dr. Tilton, under the potential drawdown
11 scenario outlined by GeoTrans, will there be any time in
12 which the wetlands in the area of the mine site cease
13 becoming wetlands?

14 A No. I don't believe that's going to occur.

15 Q In your opinion, under that same GeoTrans scenario, will the
16 wetlands function and values be diminished in this headwater
17 wetland area?

18 A No, it will not be diminished in any significant way.

19 Q Along the same lines, Dr. Tilton, will the predicted
20 drawdown diminish habitat for wildlife in your opinion?

21 A No, it will not.

22 Q There was some discussion about the temporal nature -- or
23 maybe the lack of the specific indication of the temporal
24 nature of the drawdown in the GeoTrans Report. Do you
25 recall that?

1 A Yes, I do.

2 Q Okay. Now, regardless of the temporal nature of the
3 drawdown, do you believe that the permit issued by the DEQ
4 in this case will be protective of the wetlands?

5 A Yes. I think the key is to monitor the water levels in the
6 wetlands, make sure that there isn't a drawdown beyond what
7 was modeled in the wetlands themselves, and then take the
8 necessary steps should that occur. So I think the permit is
9 adequate to protect against any unexpected outcome.

10 Q Now, you say "take the necessary steps should that occur."
11 Do you believe that if there is a drawdown that requires
12 necessary steps, that steps can be taken to return the
13 wetland back to its original state?

14 A Yes, I do.

15 MR. PREDKO: Thank you, Dr. Tilton.

16 MR. BOCK: I have nothing further.

17 MR. DYKEMA: Just a couple.

18 RE-CROSS-EXAMINATION

19 BY MR. DYKEMA:

20 Q Dr. Tilton, you testified just a moment ago that there are
21 no wetlands, looking at slide 18 of your demonstratives,
22 within the area of GeoTrans' projected drawdown. Do you
23 recall that?

24 A Yes.

25 Q I think you misspoke, but correct me if I'm wrong. You see

1 the contour line I'm pointing to here is the half-a-foot
2 contour line?

3 A Yes.

4 Q And that's the one that cuts more or less through the area
5 of your primary interest?

6 A Yes.

7 Q Fair?

8 A Uh-huh (affirmative).

9 Q And then there's a zero contour line that heads north at
10 about the middle of the map. And the zero contour mine on
11 the bottom of the map itself, --

12 A Oh.

13 Q -- right about to where the "Intervenor 636" label is --

14 A Yes.

15 Q So the whole southwest -- 40 percent of this map -- and that
16 40 percent is done by eyeball -- is somewhere between half a
17 foot and zero. Do you read the map the same way I do?

18 A Well, I'm not sure. I certainly see your point right here
19 about where that zero cuts through this little wetland right
20 here (indicating). But I'm not sure that that's the same
21 drawdown curve out here. I don't think you can interpolate
22 from the other side of the river to here, because there's a
23 different hydro geologic system going on here. But I think
24 your point is well taken right here; that between the .5 and
25 the zero there might be some impact to that wetland right

1 there.

2 Q Okay. Well, looking at the area immediately south of the
3 mine site, we have the gray shaded area, a very large area
4 of groundwater-fed wetland; right?

5 A Yes.

6 Q On both sides of the Riverine Wetland; right?

7 A Yes.

8 Q Now, tell me if I'm wrong or if you disagree with me. I do
9 not interpret this one-half foot contour line that runs more
10 or less through the mine site or a little bit to the west of
11 it, as indicating that everything to the south and west of
12 that is zero drawdown; do you?

13 A Well, my understanding when talking with the GeoTrans guys
14 is that there's no impact over here.

15 Q You're indicating to the west of the river?

16 A To the west of the river. AS a result of the mine pumping.

17 Q So all impacts are limited to the east side of the river is
18 your understanding --

19 A That's my recollection of our conversation.

20 Q -- of what GeoTrans --

21 A Yeah.

22 Q -- concluded? Okay. So somewhere in through here
23 (indicating) there's a drawdown, between half a foot and
24 somewhere in here, there's zero. But it doesn't extend to
25 the side of the river. To the west side of the river was my

1 recollection when I asked them about that.

2 Q So let me ask the question again, based on that better
3 understanding and your explanation. There is substantial
4 groundwater-fed wetland south of the site and to the east of
5 the Salmon Trout River?

6 A Yes.

7 Q Would you agree?

8 A Yes.

9 Q And the implication of this map is that the drawdown in that
10 area is somewhere between half a foot and zero?

11 A That's correct.

12 Q But we can't say it's zero?

13 A We can't say it's zero. You're right. And by the way,
14 that's our little monitoring stations, WLD 22, where we are
15 monitoring water levels. And we know that this is one of
16 those groundwater-fed wetland systems right here.

17 Q And presumably those stations are there because there's a
18 possibility of meaningful drawdown there?

19 A Well, I'm not sure why they were put there. But I'm saying
20 that we have do some information on these wetlands between
21 here and there that we can use to understand what the
22 hydrology of those wetlands are.

23 Q Just one other clarifying question. Mr. Predko asked you a
24 lot of questions about your opinion as to whether this
25 adverse impact or that adverse impact might happen to the

1 wetlands. Just so the record is clear, your answer is in
2 every such question limited to the wetland you, yourself
3 focused on?

4 A Yes.

5 MR. DYKEMA: That's all.

6 MS. HALLEY: No questions.

7 MR. PREDKO: Nothing further, your Honor.

8 JUDGE PATTERSON: Thank you, Doctor.

9 MR. PREDKO: And as I said earlier, Dr. Tilton is
10 the only witness for today. And so if there are no
11 objections, we adjourn early?

12 JUDGE PATTERSON: No objection. We can go off.

13 (Proceedings concluded at 2:14 p.m.)

14
15 -0-0-0-
16
17
18
19
20
21
22
23
24
25