

STATE OF MICHIGAN

STATE OFFICE OF ADMINISTRATIVE HEARINGS AND RULES

In the matter of: File Nos.: GW1810162 and
MP 01 2007

The Petitions of the Keweenaw
Bay Indian Community, Huron
Mountain Club, National
Wildlife Federation, and
Yellow Dog Watershed
Environmental Preserve, Inc.,
on permits issued to Kennecott
Eagle Minerals Company.
_____ /

Part: 31, Groundwater
Discharge
632, Nonferrous
Metallic
Mineral Mining

Agency: Department of
Environmental
Quality

Case Type: Water Bureau
and Office of
Geological
Survey

D R A F T T R A N S C R I P T

HEARING - VOLUME NO. XXXIV (34)

BEFORE RICHARD A. PATTERSON, ADMINISTRATIVE LAW JUDGE

Constitution Hall, 525 West Allegan, Lansing, Michigan

Wednesday, June 25, 2008, 8:30 a.m.

APPEARANCES:

For the Petitioner MR. ERIC J. EGGAN (P32368)
Keweenaw Bay Indian Honigman Miller Schwartz and Cohn LLP
Community: 222 North Washington Square, Suite 400
Lansing, Michigan 48933-1800
(517) 377-0726

1 For the Petitioner MR. BRUCE T. WALLACE (P24148)
Huron Mountain Club: Hooper Hathaway Price Beuche & Wallace
2 126 S. Main Street
Ann Arbor, Michigan 48104-1945
3 (734) 662-4426

4 For the Petitioners JEFFREY K. HAYNES (P25140)
Yellow Dog Watershed Beier Howlett, PC
5 Preserve and National 200 E. Long Lake Road, Ste. 110
Wildlife Federation: Bloomfield Hills, Michigan 48304
6 (248) 645-9400

7 For the Respondent ROBERT P. REICHEL (P31878)
Michigan Department of Assistant Attorney General
8 Environmental Quality: Environment, Natural Resources and
Agriculture Division
9 6th Floor, Williams Building
525 West Ottawa Street, PO Box 30755
10 Lansing, Michigan 48909
(517) 373-7540

11 For the Intervenor RODRICK W. LEWIS (P43968)
12 Kennecott Eagle CHRISTOPHER J. PREDKO (P56040)
Minerals Company: Warner Norcross & Judd LLP
13 2000 Town Center, Suite 2700
Southfield, Michigan 48075
14 (248) 784-5000

15

16 RECORDED BY: Marcy A. Klingshirn, CER 6924
17 Certified Electronic Recorder
Network Reporting Corporation
18 1-800-632-2720
19
20
21
22
23
24
25

TABLE OF CONTENTS

PAGE

WITNESSES: RESPONDENT

MICHAEL KOSS

Direct Examination by Mr. Reichel.	6885
Cross-Examination by Mr. Predko.	6928
Cross-Examination by Mr. Wallace	6932
Redirect Examination by Mr. Reichel.	6962
Recross-Examination by Mr. Predko.	6963
Cross-Examination by Mr. Haynes.	6965
Recross-Examination by Mr. Wallace	6966
Further Direct Examination by Mr. Reichel.	6967

L. EDMOND EARY, PH.D.

Direct Examination by Mr. Reichel.	6969
Cross-Examination by Mr. Eggan	7062
Cross-Examination by Mr. Haynes.	7086
Redirect Examination by Mr. Reichel.	7110
Recross-Examination by Mr. Eggan	7114

NOTE: Page numbers may change on final transcript.

EXHIBIT INDEX

PAGE

	IDENTIFIED	RECEIVED
1		
2		
3		
4	Respondent's Exhibit 58.	6927
	(5/8/06 Comments on Eagle Project Mine)	
5	Respondent's Exhibit 113	6928
	(12/6/07 Proposal for permit condition	
6	re: narrow-leaved Gentian)	
7	Intervenor's Exhibit 387.	6969
	(Yellow Dog Plains timber sale)	
8	Intervenor's Exhibit 388.	6969
	(Duck Nest Jack Pine Block docs)	
9	Intervenor's Exhibit 389.	6969
	(Spruce Grouse Jack Pine Block docs)	
10	Intervenor's Exhibit 390.	6969
	(Camp Robber Block docs)	
11	Intervenor's Exhibit 391.	6969
	(Forest Treatment Proposal for Sec 12)	
12	Intervenor's Exhibit 392.	6969
	(Timber sale documents)	
13	Intervenor's Exhibit 393.	6969
	(1986 Forest Treatment Proposal for	
14	Sec 12)	
	Intervenor's Exhibit 394.	6969
	(Rock Knob Jack Pine Block Reports)	
15	Intervenor's Exhibit 395.	6969
	(Compartment 207 documents - 1990)	
16	Intervenor's Exhibit 396.	6969
	(1979 Forest Treatment Proposal for	
17	Sec 12)	
18	Respondent's Exhibit 215.	6971
	(Dr. Eary's CV)	
19	Respondent's Exhibit 48	7058
	(4/5/06 List of questions)	
20	Respondent's Exhibit 49	7058
	(4/6/06 Review of Kennecott	
	geochemistry report)	
21	Respondent's Exhibit 76	7061
	(11/30/06 Review of geochemistry studies)	
22	Respondent's Exhibit 214.	7061
	(Dr. Eary's PowerPoint Presentation)	

23

24 NOTE: Page numbers may change on final transcript.
 Full exhibit list for today will be included in the final
 25 transcript.

1 Lansing, Michigan

2 Wednesday, June 25, 2008 - 8:35 a.m.

3 MR. REICHEL: Ready to proceed, your Honor?

4 JUDGE PATTERSON: I am.

5 MR. REICHEL: At this time respondent calls as its
6 next witness Michael Koss.

7 REPORTER: Raise your right hand. Do you solemnly
8 swear or affirm that the testimony you're about to give will
9 be the whole truth?

10 MR. KOSS: I do.

11 MICHAEL KOSS

12 having been called by the Respondent and sworn:

13 DIRECT EXAMINATION

14 BY MR. REICHEL:

15 Q Good morning, Mr. Koss. Could you please for the record
16 state your full name and spell your last name?

17 A My name is Michael Koss; that's K-o-s-s.

18 Q Mr. Koss, you work for the Michigan Department of Natural
19 Resources or DNR; is that correct?

20 A That is correct.

21 Q And where are you based in your work for the DNR?

22 A I work in the Western Upper Peninsula management unit, which
23 is the whole western half of the U.P., roughly a line that
24 runs from the town of Munising to Rapid River and I am
25 stationed at the Gwinn field office.

1 Q Okay.

2 MR. REICHEL: I would note for the record that Mr.
3 Koss's résumé, which was Respondent's Exhibit 11, has
4 already been admitted by stipulation of the parties.

5 Q But I'd like to briefly go through your educational and work
6 history. Where did you go to college, sir?

7 A I obtained a Bachelor of Science degree from Michigan State
8 University.

9 Q And what was the subject of your degree?

10 A Fisheries and wildlife.

11 Q What year did you obtain that degree, sir?

12 A 1977.

13 Q After you completed your degree did you go to work for the
14 Michigan DNR?

15 A Yes, I did. I started out as a seasonal park ranger and in
16 the early years worked at Lake Port State Park under several
17 different positions, seasonal positions primarily as a
18 ranger. I also worked for wildlife division as a short-term
19 worker on Port Huron State Game Area.

20 Q Okay. And did you subsequently assume different positions
21 in the DNR?

22 A Yes. I got in permanently with the DNR in 1979 as a water
23 quality specialist here in Lansing.

24 Q And what were your duties at that time, sir?

25 A Basically I worked in a construction grants program which

1 was to administer federal dollars to communities building
2 wastewater treatment plants.

3 Q When did you first begin to work full time -- excuse me.
4 when did you first begin in your work in the DNR to work in
5 issues involving wildlife management?

6 A In 1981 I took a position as a wildlife technician at Point
7 Mouillee State Game Area and worked at that game area in
8 wetlands restoration on Lake Erie and also wildlife
9 population monitoring at that time.

10 Q And when did you first have an assignment in the DNR in the
11 area of wildlife in the Upper Peninsula?

12 A In November of '81 I was fortunate enough to get the
13 wildlife biologist position at Gwinn, in which case I was
14 the lead in terms of any issues pertaining to wildlife and
15 wildlife division and my work area, which primarily was
16 Marquette and Western Alger County.

17 Q Could you give the judge an idea of the -- more specifically
18 of the range of duties that you performed with respect to
19 wildlife management, wildlife habitat; the kinds of
20 activities you were engaged in?

21 A A big part of the job was co-management responsibilities on
22 over 28,000 acres of state land co-managing those lands with
23 foresters and fisheries biologists. A big part of that
24 position was going out and inventorying these state lands
25 and jointly figuring out what we're going to do with these

1 lands, how we're going to treat them; whether we'll have
2 timber sales or not, what we'll do after the timber sales;
3 specific habitat projects, that sort of thing.

4 Q And did your work also give you occasion to keep abreast of
5 wildlife populations, trends, things of that nature?

6 A Yes, a big part of the job was also monitoring wildlife:
7 game, non-game, some threatened and endangered and using
8 that information to set hunting regulations.

9 Q Did your responsibilities with the DNR wildlife division
10 change or increase over time?

11 A Yes, they did. I was biologist from November of '81 to July
12 of 2004. At that time I was fortunate enough to take a
13 position as wildlife ecologist for the Western U.P. and that
14 expanded some of my basic duties to a much broader level.
15 Essentially as ecologist I evaluate and monitor habitat and
16 also take a lead role in many different planning functions
17 including writing a regional state forest plan for the
18 Western U.P.

19 Q Could you elaborate a little more about what sorts of --
20 when you talk about planning functions, what kinds of
21 activities would that involve?

22 A Well, we are working on a forest management plan for over
23 871,000 acres of state land in the West U.P. and kind of a
24 broader perspective of what I mentioned earlier in terms of
25 figuring out what we have and basically what we're going to

1 do with it on state lands to meet various goals. In
2 addition to that I'm on numerous different work groups that
3 deal with things like silvaculture and regeneration; private
4 lands issues, our private lands management program, work
5 groups that deal with that. Plus special projects as
6 assigned, like being a member of the mining team reviewing
7 the Eagle project.

8 Q Okay. Before we get to that, I'd like to ask you whether
9 during the course of your career in the DNR and the wildlife
10 division in the U.P. that you just talked about since 1981;
11 is that correct?

12 A That's right.

13 Q During that time period -- leaving aside this project --
14 have you ever had occasion or do you have occasion to look
15 at Environmental Impact Assessments or reviews?

16 A Yes. That would come up on a regular basis. Some examples
17 that come to mind are various right-of-way issues from
18 recreation trails to overhead electric power lines, gas
19 pipelines. probably the biggest project of that nature was
20 Project ELF, which was a Department of Defense project for
21 communicating with submarines that involved a good chunk of
22 the U.P. and Northern Wisconsin. Also mine expansion of
23 existing iron mines in Marquette County and Federal Energy
24 Regulatory Commission relicensing of dams. That would have
25 been another environmental assessment.

1 Q Okay. So in connection with those projects, if I understand
2 you, some third party would have prepared an assessment of
3 some kind of potential environmental impacts of a project
4 and your role was to assist in reviewing that assessment; is
5 that correct?

6 A That's correct.

7 Q And are there other occasions in your work where you as a
8 DNR wildlife biologist or ecologist are called upon to offer
9 input or comment on permitting decisions by other agencies
10 or specifically the DEQ?

11 A Yes. We have a role in wetlands permits.

12 Q And what would that entail? Would there be a consultation
13 process or how would that work?

14 A It can be. If we have a concern -- things have changed over
15 time. Many years ago we would actually have to sign off on
16 the permit itself. More recently if we have a concern we
17 can just contact DEQ and voice it that way, but we don't
18 actually sign off on the proposals at this time.

19 Q But would it be correct to say that in the wetland
20 permitting context, for example, you would be notified if a
21 permit is being proposed and given an opportunity to comment
22 on it; is that --

23 A Yes; that's correct.

24 Q Now, let me ask you some questions about your experience, in
25 particular geographic area. Now, again, you've -- if I

1 understand you correctly, you've had this geographic
2 responsibility for the Central and Western U.P. essentially
3 since 1981; is that correct?

4 A That's correct.

5 Q And that obviously includes Marquette County; correct?

6 A Yes.

7 Q During the course of your work for the DNR in the area have
8 you become familiar with the Yellow Dog Plains area?

9 A Yes, I have. Two various activities were involved in -- I
10 mentioned earlier that we inventory state lands and these
11 lands come up -- we divide up the forest into compartments
12 and ten percent of these compartments come up every year, so
13 over the ten-year period you get through all the state
14 forest lands in your area.

15 Q Can I interrupt you for just a minute? When you talk about
16 a compartment, what are you talking about? Just a
17 geographic block on a map?

18 A We're talking about a geographic block of state land. They
19 can vary in size. The typical size is usually about three
20 sections of land, but they vary. Sometimes if there's
21 smaller parcels of state land you might have more sections
22 of land involved.

23 Q But if I understand you correctly, they're typically
24 organized around section lines; is that correct?

25 A Yes.

1 Q Okay. Go ahead. So with respect to the -- this
2 compartment; what is it, an inventory process; is that
3 correct?

4 A Yes.

5 Q How, if at all, has that process led you to get familiar
6 with the Yellow Dog Plains area?

7 A It gets you out on the landscape in a systematic way. For
8 instance, where this project is located is compartment 207
9 and that comes up -- the year of entry would be -- happens
10 to fall on an even number, like 1990, 2000. And it's coming
11 up again in 2010.

12 Q Okay. Just to -- maybe you said this but I just wanted to
13 be clear. Are these compartments or areas reviewed on at
14 least approximately a ten-year cycle? Is that what you're
15 saying?

16 A Yes.

17 Q Okay. Go ahead, sir. I'm sorry.

18 A Yes. The field work would actually be done before the year
19 of entry and then when the year of entry hits, then you go
20 in and do the treatment.

21 Q Okay. When you talk about "field work," could you explain
22 further what you mean in that context?

23 A Basically stand examination. We draw up maps of these
24 compartments and we have a way of delineating different
25 cover types through numbers and letters. Is it jack pine?

1 Is it white pine? Is it aspen? And size and age class
2 information. And we go out and basically see what's there.
3 It's not just the timber cover; it's all cover types:
4 marshes, rock outcrops, that sort of thing. And we take a
5 basic inventory of what's there, what its condition is. And
6 then basically we sit around a table and decide what we're
7 going to do with it, when.

8 Q So when you say that you're making recommendations, for
9 example, about timber management, habitat management? Is
10 that the kind of thing you're talking about?

11 A Timber management and habitat management primarily, yes.

12 Q In addition to these periodic inventory reviews during the
13 course of your work at the DNR have you had occasion --
14 other occasions to be out on the ground in the Yellow Dog
15 Plains area?

16 A Yes, I have. Outside of the inventory you have to do the
17 follow-up. When timber sales are proposed on occasion we'll
18 go out and inspect the timber sales, because we have to sign
19 off on a proposal for that particular timber sale. If
20 there's forest treatments proposed for an area outside of
21 timber sales you have to go out and look at the area and
22 draw up that forest treatment proposal. You also review
23 forest treatment proposals that other divisions put forth,
24 like forest management division. And so that gets me out in
25 that area that way as well.

1 Q Could you explain what you mean by "forest treatment"?

2 A Anytime we do anything to the land we have to fill out a
3 forest treatment proposal. And timber sales are their own
4 special sort of forest treatment and they have contracts and
5 a separate sort of proposal. Forest treatment proposals for
6 other things would include like tree planting for wildlife.
7 If fisheries division wanted to do something alongside of
8 the stream, put in a sediment trap, that sort of thing --
9 anytime you impact the land a forest treatment proposal must
10 be completed.

11 Q As a regular part of your work do you have occasion to
12 participate in overseeing wildlife population surveys?

13 A Yes. We do quite an array of surveys specific to the Yellow
14 Dog Plains. We've had numerous deer pellet courses, deer
15 pellet surveys; very illustrious job of going out and
16 counting deer droppings. It gives us a relative index of
17 deer abundance. We also have -- other surveys that would
18 directly impact the Yellow Dog Plains would be a bear
19 tetracycline study.

20 Q Okay. Could you -- this is assessing bear populations?

21 A What it is, is we go out and place baits that are laced with
22 the antibiotic tetracycline. Hopefully a bear comes along
23 and takes that bait and ingests the tetracycline. When they
24 do that that creates a biomarker. Bear put down a growth
25 ring in their teeth just like a tree does when it grows

1 annually, so we know how many -- you know, we have these
2 baits out there and we can assess how many have been visited
3 by bears. With bear hunting it's mandatory registration, so
4 when a hunter bags a bear they bring it into a check
5 station, a tooth is removed and we take that tooth and cross
6 section it and look at it under a black light and if it's a
7 bear that's taken that tetracycline bait, that ring will
8 actually glow. And so we know how many bears out there are
9 marked; we know how many bear are in the bag and, you know,
10 we can determine how many of the bears that were bagged are
11 marked bears and we can come up with a bear population
12 estimate that way.

13 Q But in terms of -- if I understand you correctly, as a part
14 of this process the first stage is actually placing baits
15 out in the field; is that correct?

16 A Yes. And there's a lot of them. In the Western U.P.
17 there's a bait every fourth square mile, so you end up
18 coving a lot of ground that way.

19 Q And to your knowledge have any of the -- during your
20 experience have any of these baits that you periodically --
21 the agency periodically puts out, have any of those been
22 placed in the vicinity of the project -- in the Yellow Dog
23 Plains or in the vicinity of the project site?

24 A Yes. There's a couple in the Yellow Dog Plains. One is
25 right about where the orebody is. And I used to hang that

1 bait personally for many years; probably from the late '80's
2 to around 2000 or so. And that was just northwest of the
3 orebody along the riparian edge of the Salmon Trout River.

4 Q So I take it then that the task of placing that bait meant
5 that you had to actually go out to that location from time
6 to time; correct?

7 A Yes, you had to seek out a smooth bark tree to put the bait
8 in, let it set for two weeks, come back out and see whether
9 it was visited by bear or not.

10 Q So is that another instance where you had occasion to be out
11 on the Yellow Dog Plains?

12 A Yes; definitely.

13 Q Among the -- does your department or division also from time
14 to time attempt to survey fur-bearing animals?

15 A Yes, we do. As a matter of fact, the Yellow Dog Plains is
16 part of a rather large route that we have for fur-bearing
17 animals. Typically I would take our wildlife technician out
18 there in the wintertime to do that survey. When we do it,
19 it was a very long day on a snow machine; it was about 120
20 miles. The actual survey points itself were divided up into
21 five-mile segments. And one segment would have been the
22 Northwestern Road kind of northeast a little bit of the
23 proposed surface facility. Another segment occurred --
24 actually ended very near the surface facility east. There
25 were others along -- further west along the AAA Road where

1 it meets the Ford Road, and there were a couple five-mile
2 segments south of the Yellow Dog Plains as well.

3 Q When you talked about a "segment" of this kind of a survey
4 what does that mean and what did it entail you or the other
5 staff to do?

6 A It would entail when whoever's running the survey reaches
7 that segment after an appropriate marker snow, some sort of
8 fresh snows fall so we can see tracks and we wait a couple
9 of activity periods to the six activity periods. An
10 activity period would be either dawn or dusk, times when
11 fur-bearing animals would be active. What you do is you
12 start on the segment and you basically record the tracks of
13 any fur-bearing animal and a couple of others as well. We
14 would also keep track of snowshoe hare and rough grouse
15 tracks as well, and basically document on a form what you
16 saw, its distance from the end of the segment by an odometer
17 reading and a complete survey for that five-mile segment of
18 those tracks.

19 Q And in this context when you're talking about fur-bearing
20 animals can you give an idea of what species you're
21 referring to?

22 A Sure. It would wolf, bobcat, martin, fisher, coyote, fox,
23 and that's about it.

24 Q Okay. So again, these would be occasions where you would
25 from time to time go out into the Yellow Dog Plains area;

1 correct?

2 A Yes.

3 Q Now, just so we're clear, these kinds of surveys and
4 activities that you've just described and the inventories,
5 they're not unique to the Yellow Dog Plains, are they?

6 A No. No, we do many of them all over, state and private
7 lands.

8 Q Now, you've just testified that you've been involved in this
9 range of activities and your district responsibilities for
10 some time. Could you give the judge an estimate on average
11 about how many times per year you personally have been out
12 on the ground in the Yellow Dog Plains area?

13 A I would say it would average out about four times a year
14 where we would actually be there doing some sort of survey
15 actually feet on the ground. In addition to that I would
16 have occasion to pass through there in route to other areas
17 in the northwestern portion of Marquette County, so I'd
18 probably pass through there, driving through there another
19 four times a year, say.

20 Q And when you say "driving through there," are you talking
21 about driving along the AAA Road?

22 A AAA Road, yes.

23 Q And why would you be driving along the AAA Road?

24 A It's access point to the northwestern portion of Marquette
25 County. Up to the north you take the AAA Road to the Ford

1 Road and proceed north to the Huron Bay grade and it gets
2 you up on the west side of the Huron Mountains.

3 Q And could you estimate about how often you do that?

4 A I'd say that would be about four times a year where you're
5 passing through.

6 Q Okay. So just to summarize then what you've said so far,
7 you've been a wildlife biologist in this area for -- since
8 1981; correct?

9 A That's correct.

10 Q And you've been to the Yellow Dog Plains numerous times?

11 A Yes.

12 Q Let's turn now to your involvement in this project, sir.
13 You've alluded to it already and there's already testimony
14 in the record, but you referred to a mining review team.
15 When, if you recall approximately, did you first become
16 involved in that activity?

17 A I don't remember the exact date, but I would say it was
18 early in 2006.

19 Q Okay. And how was it that you came to be involved?

20 A My supervisor asked me to be a member of this team, a team
21 that DEQ was formulating to take a joint integrated looked
22 at this proposal.

23 Q Okay. And what -- as you were assigned or immediately after
24 you were assigned what did you understand the function of
25 the team, number one; and number two, what your specific

1 role would be in it?

2 A The team is basically to put our heads together and
3 communicate between our two departments about the proposal.
4 I was given hard copies of sections of the application that
5 were pertinent to my area of expertise and given information
6 about where to get 632 rules, Part 632 rules so I could
7 effectively evaluate the proposal. Joe Maki communicated to
8 me that one of the major things he was -- well, a couple
9 major things he was looking for was, you know, the wildlife
10 assessment portion; did I feel that was adequate? Did I
11 feel the baseline data that was taken, was that adequate?
12 And then just the general thoughts about the proposal. And
13 I was also told by my superiors to make recommendations
14 about the proposal and pass them up through the chain of
15 command.

16 Q Within DNR; is that right?

17 A Within DNR; that's correct.

18 Q And just so -- you talk about the "chain of command within
19 DNR." You're at the wildlife division; is that correct?

20 A Right.

21 Q And so who do you report to?

22 A I report to my supervisor, Robert Doepker, who's the
23 supervisor of the West U.P. management unit. And then in
24 turn if it -- if, you know, he approves my work and then --
25 in this case it went straight to our division chief who at

1 that time was Bill Moritz.

2 Q That's chief of the wildlife division?

3 A Chief of the wildlife division.

4 Q Right. And so you were given access to the application; is

5 that correct? The mining permit application?

6 A Yes.

7 Q And you were asked to look at sections pertaining to

8 wildlife and I take it the Environmental Impact Assessment;

9 is that correct?

10 A Yes.

11 Q And you were also given access to the Part 632 regulations;

12 correct?

13 A That's correct.

14 Q And so were you being asked to look at what was provided and

15 compare that to what you understood to be the requirements

16 of Part 632?

17 A Yes.

18 Q And did you undertake that kind of review?

19 A Yes, I did.

20 Q And as you went through your initial review would that have

21 been -- when would that have been, the first part of 2006?

22 A Yeah, it would have been spring of 2006. I solicited

23 basically all of our staff in the West U.P.: my supervisor

24 Robert Doepker, the current wildlife biologist for Marquette

25 County, which would be Carrie McFadden. I involved Brian

1 Roell our wolf coordinator. I also involved Dr. Dean Beyer
2 who's involved in our wildlife research and stationed in
3 Marquette. And also we have a person in Lansing who does
4 environmental reviews of these sorts of proposals specific
5 to threatened and endangered species, and that would be Lori
6 Sargent. And I contacted her and made her aware of the
7 project and I believe DEQ in -- here in Lansing provided her
8 with hard copies of the application.

9 Q So you undertook your review and you also consulted with
10 other colleagues in the DNR; is that correct?

11 A Yes; definitely.

12 Q So once you'd gone through that process initially did you
13 make any written -- reduced to writing any comments that you
14 had based upon your initial review?

15 A Yes. In May of 2006 I did --

16 Q Go ahead. I'm sorry.

17 A -- I did put my comments in writing.

18 MR. REICHEL: Would you bring up Respondent's
19 Exhibit 58, please?

20 Q Just for the record the first page of this document appears
21 to be an e-mail dated May 9th, 2006 from you to Mr. William
22 Moritz. Who is Mr. Moritz?

23 A Chief of the wildlife division at that time.

24 Q Okay. And what's the substance of this communication?

25 A Basically I was following the instructions. I had checked -

1 - got the okay to send these up the chain of command from my
2 supervisor, and this was the cover e-mail to send it to our
3 chief with copies to those people listed at the bottom. Jim
4 Ekdahl was deputy director -- was a deputy in charge of the
5 U.P. at the time. Jessica Mistak was another member of the
6 mining team from fisheries division. Joe Maki, of course,
7 was kind of the organizer of the team for DEQ. Lori
8 Sargent, the threatened and endangered species coordinator
9 who does environmental reviews. And Bob Doepker my
10 supervisor, and William Brondyke who is a forester who was
11 also on the mining team.

12 Q Okay. What is this document, sir? Could you explain what
13 this part of the exhibit is?

14 A This is the general comments that we developed regarding the
15 project. Shall I go bullet point by bullet point?

16 Q Yes, please. Well, first when you talk about general
17 comments, just to be clear you testified that you were asked
18 to focus on some specific aspects of the permit application
19 involving wildlife and the Environmental Impact Assessment;
20 correct?

21 A That's correct.

22 Q In addition to that did you also review some of the other
23 more general materials in the permit application?

24 A Oh, yes. You know, primarily focused on the executive
25 summary but got a feel for what was involved with the

1 project overall.

2 Q Okay. So yes, turning now to your general comments, could
3 you just summarized or explain the first point here?

4 A Basically the first point is -- you know, as a wildlife
5 biologist and a wildlife ecologist I'm no expert on air
6 quality or water quality or general mining procedures, so
7 this first bullet point speaks to that our support was
8 contingent upon joint scientific review along with DEQ. And
9 basically we went with whatever their views were on the
10 environmental aspects of it. If they thought the project
11 could move forward without significant environmental impacts
12 that was good enough for us, but if they had a problem in
13 some ways with the project moving forward then that would
14 stop it dead in the tracks from our point of view.

15 Q Again, with respect to the issues that you and your
16 colleagues were looking at, I take it wildlife issues -- you
17 were looking at that independently in terms of the potential
18 impact on --

19 A Oh, yes. Yes, in terms of wildlife specific we were looking
20 at that.

21 Q And what's the substance of your next bullet here?

22 A Simply that we like the idea of having this mining team
23 approach. It really helped to have experts in all the
24 things we didn't know about available to answer any
25 questions we might have. And --

1 Q Okay. And the -- go ahead.

2 A And we -- you know, in reviewing the Part 632 rules we felt
3 that they were adequate for safeguarding the environment,
4 particularly the water; because we felt any contaminants
5 that might be -- that would be in the environment would end
6 up in the water ultimately.

7 Q Okay. And the next bullet?

8 A This refers to especially the baseline data for the wildlife
9 assessment. We felt it was adequate.

10 Q Okay. Your comment: "Baseline data collected for birds,
11 mammals amphibians, threatened and endangered plants and
12 animals and vegetative communities"; is that what you were
13 talking about?

14 A That's correct.

15 Q Now, you touched on this before but I'd like to be clear on
16 this. In offering this comment, were you taking into
17 consideration what you understood to be the requirements of
18 Part 632 and its rules with respect to Environmental Impact
19 Assessments?

20 A Yes.

21 Q And specifically with regard to requirements as to the
22 baseline data that was required?

23 A Yes.

24 Q And with regard to that, what was your understanding, at
25 least generally, of the amount of how much baseline data was

1 required to be collected and over what period of time?

2 A The rule said that two years of relevant information on
3 flora and fauna were necessary. One year of general
4 literature review -- or literature review could count as one
5 year and you needed one year of site-specific information.

6 Q Okay. And as you approached that, what was your
7 understanding of one of site-specific information? Did you
8 understand that to -- well, go ahead. Just give me your
9 answer.

10 A Well, I understand that to be one year of when wildlife
11 could reasonably be expected to be active, and that would be
12 the snow-free time of the year definitely. And the ultimate
13 time to do the surveys was when the consultants did them:
14 the months of May, June and October.

15 Q Okay. Just to -- I'd like you to amplify that, because
16 that's frankly been the subject of some contention here.
17 Could you explain -- when you talk about those months:
18 spring, summer, fall, why is it that you believe or
19 understand that those are the appropriate times to make
20 observations within a year?

21 A Well, a lot of wildlife species in the wintertime,
22 particularly in that area of Michigan, migrate or become
23 dormant, so there's just not a lot of activity going on in
24 the wintertime. There are some animals active as our fur-
25 bear routes would indicate, but, you know, if -- looking at

1 it in the wintertime you miss a lot of animals that would be
2 there during the snow-free months.

3 Q And conversely the animals that -- some of the species that
4 you talked about where you do independent of this surveys,
5 would it be possible to observe those animals at other times
6 of the year?

7 A Could you repeat that?

8 Q I'm sorry. You talked earlier about doing some surveys of
9 fur-bearing animals in the wintertime; correct?

10 A Uh-huh; yes.

11 Q Is it possible to, as a part of a survey of an area, also to
12 look for those animals in snow-free times of the year?

13 A Oh, yes. Yes, they would also be there during the snow-free
14 times.

15 Q I want to come back later to some of the specific issues on
16 species that have been mentioned in connection with this
17 case, but I'd like to for now complete your discussion of
18 this document. What is your next bullet point here?

19 A That's regarding the reclamation of the surface facilities
20 to natural conditions post mining. All state owned lands
21 should be restored with buildings and other amenities
22 removed. We felt that was very important that the site upon
23 completion would be restored to its natural state.

24 Q Again, recognizing your claim not to be an expert on mining,
25 but based upon your review of the mining permit application,

1 did you develop some understanding of the projected
2 lifetime -- operation lifetime of this mine?

3 A Yeah. It was -- yes, it was projected that once mining
4 activities actually got underway they last about eight years
5 or so; it will be shy of a decade.

6 Q Okay. And so when you talk about reclamation you're talking
7 about activities after completion of the mining?

8 A Yes.

9 Q And when you talk about restoration to natural conditions,
10 could you describe again, first, what you understood from --
11 what you understood would be required to happen at the end
12 of the process?

13 A Complete removal of all of the infrastructure: all the rock
14 storage areas, the water treatment plant, everything
15 eventually. Obviously there's some monitoring that goes on
16 long term and anything related to that would remain, but
17 parking lots -- it all goes at the end.

18 Q And do you understand the applicant to have proposed that
19 upon the completion as a part of this reclamation plan that
20 areas that had been disturbed would be restored -- would be
21 revegetated?

22 A Yes. The topsoil is stockpiled to be stockpiled and saved
23 to put back in place and additional topsoil would be added
24 if that was not sufficient. And the applicant would also be
25 required to actually get jack pine from local stock and

1 replant the area.

2 Q And if you -- moving ahead in time, Mr. Koss. Have you had
3 occasion to look at the mining permit that was ultimately
4 issued in this case?

5 A Yes, I have.

6 Q And do you know whether or not the permit requires -- or has
7 requirements regarding site reclamation and restoration
8 consistent with your recommendations?

9 A Yes, it does contain that.

10 Q Could you briefly explain your next bulleted comment here?

11 A Yes. One of the -- probably the most common opinion I heard
12 from wildlifers in the West U.P. -- or wildlife staff was
13 concern about the offsite ore transportation route. This
14 gets to be a tricky issue, because under the 632 rules the
15 applicant must provide a route -- which they have, that
16 route right there that's listed in that bullet point;
17 however, they don't have to stick to that route. So I
18 questioned as to whether we should even put it in there, but
19 we decided ultimately to state our opinion about the
20 transportation route even though it couldn't be regulated
21 under the 632 permit. We would like to see the existing
22 infrastructure used with the proposed route of the AAA Road,
23 County Road 510 and the 550. We do realize and realized at
24 the time we were submitting it up through the chain of
25 command that this could not be mandated in the permit.

1 Q Could you turn now to -- under the heading, "Site-specific
2 comment" could you briefly summarize what comments you
3 offered and why?

4 A I noticed that there were the contact water basins as part
5 of the wastewater -- or the mine treatment -- water
6 treatment facility and I was concerned about the possibility
7 that these basins could attract wildlife, primarily
8 waterfowl and gulls. You see this a lot with -- or fairly
9 often at least with municipal wastewater treatment
10 facilities. I'm not sure what the chemical makeup of the
11 water in the basins would be, but to be safe and to make
12 sure wildlife gets no exposure to contaminants we wanted
13 some plan in place for keeping wildlife from that pool of
14 water.

15 Q Now, you mentioned a moment ago that you -- during the
16 course of your career you've encountered other situations
17 where other ponds or impoundment structured associated with
18 some industrial or other activity sometimes attract
19 wildlife; is that correct?

20 A That's correct.

21 Q And in situations of that kind where there is a desire to
22 limit or discourage the exposure of wildlife to that water
23 in the pond, are there techniques that in your experience
24 can be and are used to make that kind of exposure less
25 likely?

1 A Yes. there's a number of different techniques you can use
2 from complete exclusion through fencing, various means,
3 covering. harassment from sound is one technique. There's
4 a number of scare devices that are visual devices that can
5 be used, various things that flutter and potentially scare
6 animals depending on what type of problem you're having.
7 But the point was to have some sort of plan that you would
8 use all these techniques including live trapping, non-lethal
9 live trapping and removal; moving of animals to keep animals
10 from this pooled water.

11 Q Okay. While we're on this document, you have what appears
12 to be a footnote or a note at the bottom. Could you just
13 read what that says and explain what you mean?

14 A Yes. I added this later in January of '07. "Please note
15 that the site specific comment mentioned above was
16 subsequently addressed to my satisfaction by Kennecott's
17 October 2006 response to DEQ comments." There was actually
18 a lag time -- well, several lags in review of this
19 application. Not long after I submitted my initial comments
20 in May of '06, I believe it was a court injunction that
21 stopped the process. I don't even remember specifically
22 what it was about. I think it was about whether the
23 application was deemed complete or not, if my memory serves
24 me correctly. But there was a delay, so I modified it when
25 I sort of rather resubmitted my comments in January of '07.

1 Q Okay. And just following up on this, the chronology here.
2 You indicated earlier that you had copied Mr. Maki of the
3 DEQ on transmittal of this document; correct?

4 A That's correct.

5 Q If you know, did Mr. Maki subsequently take your site-
6 specific comment we just talked about and include that in a
7 communication to Kennecott?

8 A Yes, he did.

9 Q Okay. This document is already in the record; it's the June
10 21st, 2006 letter from Mr. Maki to John Cherry of Kennecott
11 transmitting a list of comments. Number 1 says, "Provide a
12 plan for non-lethal harassment or exclusion of wildlife to
13 the contact and non-contact water basins." Do you see that?

14 A Yes, I do.

15 Q Okay. And again, you touched on this. Is it your
16 understanding that Kennecott provided a response to that
17 comment?

18 A Yes, they did.

19 MR. REICHEL: Could you please bring up
20 Respondent's Number 69? Could you scroll down to, I
21 believe, the third, fourth page?

22 Q Do you see this -- this is a response to those comments and
23 they're -- on the first page in the main body of the
24 document there's comment number 1 and a response to that?

25 A Yes.

1 Q And is this the response by Kennecott to your comment that
2 you referred to earlier?

3 A Yes.

4 Q Outlining some measures that were proposed to be taken to
5 prevent contact by wildlife with the surface water basins;
6 is that --

7 A That's correct.

8 Q Okay. And from your standpoint did this plan address your
9 concern adequately?

10 A Yes. Yes, it does.

11 Q Now, you testified earlier that it's your understanding that
12 under Part 632 and its rules one of the kinds of issues that
13 was required to be addressed in the Environmental Impact
14 Assessment is the presence of threatened and endangered
15 species and the possible impact of the proposed activity on
16 such species; is that correct?

17 A That's correct.

18 Q And if you recall, based upon your review of the
19 Environmental Impact Assessment, did it identify any
20 threatened and endangered species as being present in the
21 vicinity of the mine -- the proposed mine?

22 A Yes, it did. It specifically mentions narrow leaf gentian,
23 which is a threatened plant that grows in wetlands and on
24 the wetland fringe primarily and of the Salmon Trout River,
25 and those plants are located, you know, very close to being

1 directly above the orebody.

2 Q Okay. Based upon your review of the Environmental Impact
3 Assessment, did you understand -- what did you understand about
4 how the -- whether the mining plan and the proposed surface
5 development did or did not propose to physically disturb the
6 area where narrow leaf gentian had been observed?

7 A The plan called for no disturbance of these plants and in
8 addition to that they called for annual monitoring of the
9 plant; quite extensive looking at things like rainfall,
10 insects, and that satisfied any concern I had for the most
11 part of -- for that plant. However, again, just to add a
12 margin of safety I requested that DEQ put into the 632
13 permit that the applicant leave a one-chain or a 66-foot
14 buffer around any occurrences of narrow leaf gentian just to
15 add a margin of safety.

16 MR. REICHEL: Could you please bring up
17 Respondent's Exhibit 113?

18 Q What is this document, sir?

19 A That's an e-mail I sent to Joe Maki.

20 Q And what's the substance of it?

21 A Basically it proposed wording that I would -- that I wanted
22 to see in the 632 permit about no major disturbance to
23 vegetation within one chain, 66 feet of narrow leaf gentian
24 occurrences.

25 Q And again, your purpose in this was -- you said a moment

1 ago, to what?

2 A Add a margin of safety. A number of things -- this is one
3 of the positive things that came out of the public hearings
4 I feel regarding this project. A number of citizens had
5 expressed concern over the plant and it was actually
6 something that Lori Sargent, who was copied of this, said
7 that -- you know, she had mentioned to people that under the
8 Threatened and Endangered Species Act she couldn't require a
9 buffer and it was light bulb moment for me. I thought,
10 "Well, under 632 we can." While there was no plans to
11 disturb the plant, I envisioned all these scenarios of
12 people potentially working very close to the plant and --
13 "Okay. You're not impacting it, but you're only one foot
14 away from it. That's getting kind of close." So a buffer
15 seemed to be a reasonable option.

16 Q Okay. And how did you arrive at the distance of this 66
17 feet?

18 A One chain would be typical of what we would use as a buffer
19 zone around a threatened plant if it occurred on a timber
20 sale on state lands.

21 Q So this is something you would do as a general precaution?

22 A Kind of a standard, yeah.

23 Q Okay. And to your knowledge, Mr. Koss, was the permit as
24 issued, did it contain a condition consistent with your
25 recommendation?

1 A Yes; that requirement was put in.

2 Q Again, with respect to threatened and endangered species,
3 there's been discussion in this case about the Kirtland's
4 warbler. First, by way of background, Mr. Koss, based upon
5 your work as a wildlife biologist for the DNR over a number
6 of years, do you have any understanding of the Kirtland's
7 warbler's preferred habitat and areas where they are present
8 in Michigan generally?

9 A Yes, I do.

10 Q And first, with respect to habitat; what do you understand
11 to be the preferred habitat for that species?

12 A Kirtland warblers prefer young, densely stocked jack pine.
13 We're talking about jack pine that's, depending on the site,
14 usually five to 20 years old, maybe a couple years beyond
15 that, depending on the site; very dense stocking of jack
16 pine with a fair amount of well-scattered openings
17 throughout it. When I'm talking "densely stocked"; in the
18 core Kirtland warbler range where we're actively managing
19 for those birds we plant jack pine at a stocking of 1600
20 stems per acres. Most other areas where jack pine is
21 managed it's more like 900 stems per acre.

22 Q Can I interrupt you? When you talk about the "core
23 Kirtland's warbler habitat," where do you understand that to
24 be located?

25 A That would be in the Northern Lower Peninsula of Michigan is

1 the core range.

2 Q Okay. Go ahead. Did you have anything else that you wanted
3 to add to your basic understanding of the Kirtland warbler's
4 habitat and --

5 A Just that we've had Kirtland warblers in Marquette County
6 since 1983 where they've been documented in modern times.
7 Most of them are on other jack pine plains in the southern
8 portion of the county, and that's where I'm most familiar
9 with them. We've had most of our occurrences on the Sands
10 plains and Voelker plains. And as a matter of fact, the
11 only warbler we've had since '83 outside of those two areas
12 was the one found in 2006 up in the Yellow Dog Plains.

13 Q Okay. And I want to get back to that in a moment, but based
14 upon the -- your review of the initial Environmental Impact
15 Assessment, if you recall, did that identify observations of
16 Kirtland warblers in the area that it studied?

17 A No, the initial review did not encounter any Kirtland
18 warblers.

19 Q Now, a moment ago you referred to a confirmed sighting of
20 the Kirtland's warbler in about 2006; is that correct?

21 A That's correct.

22 Q First of all, do you have any understanding of where that
23 occurred in relation to the proposed mine site?

24 A Yes, that sighting was in the northwest quarter of section
25 20, town 50 north, range 28 west and that would be roughly

1 two miles southeast of the proposed surface facility.

2 Q And based upon the available information, what did you
3 understand -- strike that. Was the sighting that you
4 referred to, was it of a nesting bird, or what was observed?

5 A It was a lone male.

6 Q If you know, as a part of the permit application review
7 process, do you know whether consultants for Kennecott
8 undertook any supplemental attempt to identify possible
9 occurrence of Kirtland's warbler in the vicinity of the mine
10 site?

11 A Yes, they did. They did a supplemental technical bulletin.
12 I believe that was in May-June of 2006 to concentrate
13 specifically on Kirtland's warblers.

14 Q And did you review that document?

15 A Yes, I did.

16 Q And first from the standpoint of have you based upon your
17 training and experience as a wildlife biologist some
18 familiarity with the techniques commonly used to conduct
19 wildlife surveys, including bird surveys?

20 A Yes.

21 Q And based upon your review of the supplemental document
22 provided by Kennecott's consultant, from your standpoint,
23 were the methods that they used as part of their further
24 investigation consistent or inconsistent with accepted
25 practices?

1 A It was consistent with accepted practices.

2 Q And based upon your review, do you know whether or not that
3 subsequent supplemental work identified observations of
4 Kirtland's warblers?

5 A I am aware they did not identify any further Kirtland's
6 warbler.

7 Q Now, you testified -- I guess you've touched on this, but
8 just so the record is clear, there's other testimony in the
9 record that the area in immediate proximity to the mine site
10 does have some young Jack Pine; is that correct?

11 A Yes. There is an extensive of young Jack Pine in the Yellow
12 Dog Plains.

13 Q Okay. And again, focusing on the Jack Pine stands that are
14 closest to the mine site, based upon your familiarity with
15 that, how does the density of the Jack Pine there compare to
16 your understanding of what you previously said is considered
17 the optimum habitat for Kirtland's?

18 A It would be light. It would be that standard 900 stems per
19 acre roughly of stocking.

20 Q Okay. But to the extent that the Jack Pine in the vicinity
21 of the mine site may conceivably or potentially provide
22 habitat to Kirtland's warbler, to your knowledge, is that
23 type of habitat unique to that area of Marquette County?

24 A No, it would not be unique.

25 Q Do you have any knowledge based upon your work with the DNR

1 with respect to how extensive areas of Jack Pine habitat
2 there are of just in terms of state-owned lands in the
3 Yellow Dog Plains area?

4 A Yes. We do keep records of that. Specifically, on our
5 ownership and the management area we refer to as the Yellow
6 Dog Plains, we own just over 3700 acres of state land. Of
7 that 3768 acres, 2,612 would be typed as Jack Pine. That
8 amounts to 69 percent of the land base would be Jack Pine.

9 Q To the extent you have knowledge of other non-state-owned
10 lands and habitat in the Yellow Dog Plains area, do you have
11 any understanding as to whether Jack Pine stands comparable
12 to those that are near the mine site exist elsewhere in the
13 vicinity on privately owned land?

14 A Yes. Plum Creek Timber Company owns a lot of land in that
15 area, and Jack Pine would dominate their ownership as well.

16 Q Now, moving out beyond the specific area of the Yellow Dog
17 Plains, to your knowledge, sir, are there other areas in
18 Marquette County that would provide comparable or
19 potentially better habitat for Kirtland's warbler?

20 A Oh, yes. The area where there's a history of warblers right
21 now, the Sands Plains, has been really where most of the
22 birds have been. That's a sandy outwash plain that's over
23 16,000 acres. And we have some state lands in there, but
24 it's quite limited. A lot of the lands are Jack Pine owned
25 by Marquette County. And that provides -- has traditionally

1 provided a lot of habitat for the warblers. It's kind of
2 grown up out of their reach. What really spurred warblers
3 in that area was a wildfire that occurred in 1986 called the
4 Rice Lake fire. And secondarily to that our other second
5 place finisher which is rapidly coming on first place here
6 in terms of warblers as three have been found on -- this
7 spring on the Voelker Plains, which is a little bit
8 northwest of the town of Gwinn.

9 Q So to summarize, Mr. Koss, again, based on your training and
10 experience and your observations of the area, do you believe
11 that the Jack Pine that exists in the immediate vicinity of
12 the proposed mine site provides any unique or rare potential
13 habitat for Kirtland's warbler?

14 A No, it does not.

15 Q I want to turn now to discussion of some other identified
16 endangered species. The environmental impact assessment --
17 did the environmental impact assessment contain any
18 reference to the bald eagle, if you recall?

19 A Yes, it did. I believe they saw one soaring overhead.

20 Q And do you as a part of your work with the DNR have any
21 understanding of where in Marquette County there have been
22 documented bald eagle nesting sites?

23 A Yes. We keep track of that. We have for many years. Many
24 years ago we used to do the surveys which you do by airplane
25 ourselves, and now we have contractors do it for us.

1 Q And so, to your knowledge, is there any documented bald
2 eagle nesting site in the immediate vicinity of the proposed
3 mine site?

4 A There are no eagle nests that we're aware of in the
5 proposed -- at the proposed surface facility or the mining
6 site.

7 Q There's been some testimony about a bald eagle nesting site
8 near the mouth of the Salmon Trout River in this case. Are
9 you aware that such a nesting site has been observed there?

10 A Not right at the mouth of the Salmon Trout. Most of the
11 nests in northern Marquette County are along the Lake
12 Superior shoreline. We have them at various spots; Huron
13 Island's National Wildlife Refuge, the mouth of the Huron
14 River. We have one at Iron River at Lake Independence. I'm
15 not aware of one at the mouth of the Salmon Trout, per se.

16 Q Okay. To your knowledge, what's the approximate -- how
17 close -- what's the closest documented bald eagle nesting
18 site to the proposed mine site, approximately?

19 A Roughly about -- there is one at Conway -- or wait a minute.
20 There is one at Conway Lake; probably roughly eight to ten
21 miles.

22 Q To your knowledge, Mr. Koss, does the area in the immediate
23 vicinity of the proposed mine site, has it been documented
24 to be any sort of a critical habitat for the bald eagle?

25 A No. Typically eagles like large bodies of water. They

1 typically nest, you know, large inland lakes, shores of the
2 Great Lakes, large rivers.

3 Q And so the record is clear, you testified previously you've
4 been to the Salmon Trout River and the immediate vicinity of
5 the mine site?

6 A That's correct.

7 Q And would it classify -- would you fit that in as a large
8 river in the sense that you just used?

9 A No, not at all. When I say large river, we're talking
10 things like we have eagles nesting along the Escanaba River,
11 which is quite, quite large.

12 Q Now, one of the other species that's been mentioned in
13 connection with this site is the gray wolf. Again, based
14 upon -- well, first of all, did the environmental impact
15 assessment identify the proposed mining site or the area
16 immediately surrounding it as critical habitat for the wolf?

17 A No. They noted wolf tracks in the general vicinity but, you
18 know, they didn't mention any den sites or rendezvous sites
19 or anything like that.

20 Q Okay. Independent of the environmental impact assessment,
21 based upon your own observations and duties in the DNR, do
22 you have any knowledge as to whether or not wolves walk
23 through or transit through the area around the mine site?

24 A They definitely do. We have three packs of wolves in
25 northern Marquette County. We have the Echo Lake pack,

1 which is two animals, we have the Huron Mountain pack, which
2 is three animals, and we have the Northwestern pack, which
3 is six animals. And we have a radio collar on one of the
4 Echo Lake animals. And we know for certain that that animal
5 goes through the Yellow Dog Plains. But really probably at
6 some time or other, animals from each three of those packs
7 are definitely using the plains during the summer months --
8 or the snow-free months, I should say.

9 Q Okay. And when you talk about the locations of these known
10 packs -- and let me back up. To your knowledge, sir, has
11 the DNR have over a number of years actively monitored or
12 monitored the wolf incidents and locations in the Upper
13 Peninsula?

14 A Oh, yes. Ever since the beginnings of their recovery in the
15 early 90's, we do a winter census, a very specialized
16 searching for presence of wolves.

17 Q And the three packs that you mentioned in northern Marquette
18 County, you mentioned names. Were those associated with
19 their, for lack of a better term, home turf or den areas?
20 How do you identify them?

21 A That's an excellent way of putting it. Yes. The Echo Lake
22 pack is centered around Echo Lake, which is up County Road
23 550 a few miles north of Marquette in a deer yard. The
24 Huron Mountain pack is in the Huron Mountains. They move
25 around. The Huron Mountains is also a deer yard, a place

1 where deer go to spend the winter months for protection from
2 the elements.

3 Q Excuse me. But --

4 A And they move around depending on where the deer are in that
5 yarding complex, most recently at the south end this year
6 where around Ives Lake where there was some timber harvest.
7 And then the Northwestern pack refers to the Northwestern
8 Road. And they're really focused right on where the western
9 portion of the Northwestern Road comes into the Huron Bay
10 grade. And they're really centered around that point.

11 Q And how close are any of those identified pack locations to
12 the proposed mine site, approximately?

13 A In the wintertime where they're concentrated would be about,
14 again, eight to ten miles roughly from the proposed mine
15 site.

16 Q Now, you've testified that both the EIA and your own
17 observations indicate that wolves do transit through the
18 Yellow Dog Plains in the vicinity of the mine site; correct?

19 A That's correct.

20 Q Based upon your understanding of the -- well, strike that.
21 Based upon your review of the mining application, do you
22 have an understanding of at least the approximate area that
23 would be occupied by the surface facilities and disturbed
24 directly by human activities?

25 A That's correct.

1 Q And what is the approximate size?

2 A The intensive infrastructure comprises of about 92 acres.
3 The total fenced off area would be about 145 acres.

4 Q Assuming that the mine as proposed is constructed and
5 operated consistent with the plans that are on the table,
6 what is your -- what expectation would you have about
7 whether or not that activity would impair or disrupt the
8 wolf populations that have been known to pass through the
9 area now?

10 A I don't believe it would disrupt or impact their activities.
11 They would just go around the facility.

12 Q There's also been some -- it's been alleged by some of the
13 Petitioners that the proposed Eagle Mine project would
14 fragment existing wildlife habitat and in the vicinity of
15 the mine site and thereby adversely effect or impair
16 wildlife. Are you aware of that general contention?

17 A Yes, I'm aware that that's their concern.

18 Q Based upon your review of the mining permit application and
19 your understanding of the scope of the activities that are
20 proposed and where they're located, as well as your own
21 knowledge of wildlife in the area, do you agree or disagree
22 with the proposition that the proposed mine activity would
23 fragment existing wildlife habitats so as to adversely or
24 potentially adversely effect wildlife that are in the area
25 now?

1 A I disagree with that idea. Obviously there will be impacts
2 for the duration of the mine on that very specific impact
3 area, 92 acres, 145 acres, how ever you want to characterize
4 it. But it's a small area and it won't have a lasting or
5 significant impact on wildlife in the area long-term.

6 MR. REICHEL: Your Honor, at this time I want to
7 move for admission of Respondent's Proposed Exhibit 58,
8 which was the first document I asked the witness about, his
9 May 9th, 2006, communication of comments on the proposed
10 permit application.

11 MR. WALLACE: No objection.

12 MR. PREDKO: No objection, Your Honor.

13 JUDGE PATTERSON: I'm sorry. The number of that
14 was what?

15 MR. REICHEL: I'm sorry, Your Honor. It's --

16 JUDGE PATTERSON: I know you said it. I just --

17 MR. REICHEL: -- 58.

18 JUDGE PATTERSON: Okay. There being no objection,
19 R-58 would be entered.

20 (Respondent's Exhibit 58 received)

21 MR. REICHEL: I would also like to move for
22 admission of Respondent's Proposed Exhibit 113, which was
23 the December 2007 communication regarding the narrow leaf
24 gentian buffer zone.

25 MR. WALLACE: Also no objection.

1 MR. PREDKO: No objection.

2 JUDGE PATTERSON: Thank you. No objection, that
3 too will be entered.

4 (Respondent's Exhibit 113 received)

5 MR. REICHEL: May I have just a moment to check my
6 notes?

7 JUDGE PATTERSON: Sure.

8 MR. REICHEL: I think I'm done.

9 (Counsel reviews notes)

10 MR. REICHEL: Yes, I am, Your Honor. With that,
11 I'll pass the witness.

12 JUDGE PATTERSON: Okay. We'll take a break.

13 (Off the record)

14 JUDGE PATTERSON: Mr. Predko, do you have any
15 questions at this point?

16 MR. PREDKO: I just have a few, Your Honor.

17 JUDGE PATTERSON: Okay.

18 MR. PREDKO: Mr. Koss, my name is Chris Predko,
19 and I represent Kennecott.

20 CROSS-EXAMINATION

21 BY MR. PREDKO:

22 Q And you said that you had experience with the state's timber
23 sales in the Yellow Dog Plains?

24 A Yes.

25 MR. PREDKO: Well, and maybe the easiest way for

1 us to do this, if I could approach, Your Honor?

2 JUDGE PATTERSON: Sure.

3 Q I'm going to hand you a little stack of documents here. And
4 if you could first take a look at 387?

5 MR. REICHEL: Counsel, for the record, what
6 document is this?

7 MR. PREDKO: Intervenor Proposed 387.

8 Q Do you recognize that form of document? And we're going to
9 try and put it up on the screen as soon as things warm up
10 here.

11 A Yes, I do. As I go through the package here, it looks like
12 our standard state forest timber sale contract plus a DNR
13 state timber sale proposal, one which I signed in July of
14 2000.

15 Q And so those are the types of forms that are required to be
16 filled out and kept by the DNR?

17 A Yes.

18 Q Okay. And we have up on the screen here I think that first
19 page of Exhibit 387?

20 A Yes.

21 Q Are you able to tell the location of this particular
22 harvest? It does say Yellow Dog Plains on it.

23 A Yes. It has the compartment number 207, and the stand
24 numbers 016, 023, 027 and 028.

25 Q And for the rest of the exhibits that I've handed you, Mr.

1 Koss, if you wouldn't mind just flipping through those and
2 verifying for me that those timber sale-related documents
3 from the state are also of the Yellow Dog Plains and in and
4 around the vicinity of the proposed mine?

5 (Witness reviews documents)

6 MR. PREDKO: And for the record, the packet that I
7 handed Mr. Koss is Intervenor Exhibits 387 through 396.

8 A Yes, they are all of timber sale and related forest
9 treatment documents all in the area of the proposed mine
10 site.

11 Q And, Mr. Koss do those documents show the historic logging
12 that has taken place in and around the area of the proposed
13 mine?

14 A Yes, they do reflect what's gone on there in terms of
15 management practices.

16 MR. PREDKO: Your Honor, I would just move for
17 admission those public records, Intervenor 386 through 396.

18 MR. WALLACE: Probably the most -- I don't have a
19 copy of this. Probably the most efficient thing is at the
20 next break if I go through it and then while Mr. Koss is
21 still here if I have any voir dire-type questions, I'll ask
22 him then.

23 JUDGE PATTERSON: Okay.

24 MR. WALLACE: I mean, I could sit here and do it
25 right now, but it seems like I should wait until a break, if

1 you don't mind.

2 MR. PREDKO: Yeah. Just to be clear, you do have
3 a copy; you just don't have one with you?

4 MR. WALLACE: I just don't have one with me.

5 MR. PREDKO: Okay.

6 JUDGE PATTERSON: It's been disclosed?

7 MR. PREDKO: Yes.

8 MR. WALLACE: Yeah, it's got a number. It's been
9 disclosed.

10 JUDGE PATTERSON: But you just haven't reviewed it
11 today?

12 MR. WALLACE: I didn't necessarily anticipate that
13 was the document I should have.

14 JUDGE PATTERSON: Unless you need it in now, that
15 makes sense.

16 MR. PREDKO: No; no, don't need it in now. We can
17 wait.

18 JUDGE PATTERSON: Okay.

19 MR. PREDKO: Thank you, Mr. Koss.

20 MR. WALLACE: Are you through with the witness?

21 MR. PREDKO: I am.

22 MR. WALLACE: Okay. Mr. Koss, my name is Bruce
23 Wallace. I represent the Huron Mountain Club. I have a few
24 questions.

25

CROSS-EXAMINATION

BY MR. WALLACE:

Q Could you give us an idea -- I'm going back to some of the things you've described from your, you know, past and experience -- what's involved in a forest management plan?

A Basically the way we write our plans, our template, what we go over first the forest history section and then we go over an assessment of what's currently there, and then we have a section on desired future condition for the state forest land, and then ultimately we get into subsections of recreation, special conservation areas, unique areas, that sort of thing.

Q Do forest management plans look into the wildlife of the area that's being planned?

A Definitely.

Q Okay. And what sort of -- what sort of investigation of the wildlife regime do you conduct in preparation of a forest management plan?

A We don't do a special study. It's kind of our cumulative knowledge of past practice and our inventories that we already have done.

Q So by the time you get ready for a given forest management plan, you are quite familiar with the area and --

A Right.

Q -- you know what lives there and what habitats are contained

1 there?

2 A That's correct.

3 Q Okay. And does the plan reflect that, typically?

4 A Oh, yes.

5 Q Would a forest management plan, for example, describe what
6 specific wildlife you understand to live in the forest
7 that's going to be managed?

8 A It wouldn't go -- other than something really unique, we
9 would probably have an appendix listing all the various
10 species. We wouldn't go compartment by compartment, per se,
11 listing, you know, deer, bear, coyotes, et cetera. It would
12 be more of a general broad-based approach.

13 Q Okay. And I likewise wonder about the private land
14 management process that you conducted. Do you do studies of
15 private lands from the standpoint of timber cutting or other
16 human activity?

17 A In a sense we do. We've had numerous private land
18 initiatives. Most recently our current private land
19 initiative is called the Landowner Incentive Program. And
20 we have an employee, Kevin Swanson, who deals specifically
21 with that. And he does write management plans, usually for
22 small landowners, although he also works with large
23 landowners such as forest land groups on certain issues.
24 For example, we have a disease that effects beech in the
25 east U.P., and he works with that group in dealing with that

1 situation and mitigating that lost wildlife through planting
2 other things such as oak and whatnot.

3 Q Okay. Do private landowners make application to participate
4 in this program, or do you seek that out, or how does that
5 work?

6 A Yes. They -- a little of both. They seek out Kevin and
7 request that he come to their property and write plans.
8 And, you know, he advertises and drums up business that way
9 as well.

10 Q Okay. Is Kennecott involved in a private land management
11 program with you?

12 A Not to my knowledge, no.

13 Q How about the logging companies that are reflected in those
14 exhibits that you've just looked at, 386 to 396? Are they
15 involved in the private land management programs?

16 A No. These would be contractors that harvest the timber that
17 the contracts would go to.

18 Q And they're not the landowners; they're the harvesters?

19 A Right.

20 Q Is any of the land in the area of the proposed mining
21 operation involved in the private land management program?

22 A I'm not aware of any. There's not a lot of small private
23 landowners there compared to other areas of the west U.P.,
24 you know. He could have -- I know he has -- there's nothing
25 in the immediate vicinity that I'm aware of.

1 Q What would you describe as your area of expertise? What
2 label do you use for yourself?

3 A I'm a general practitioner. I guess my area of expertise
4 would be applying ecological principles to the landscape.

5 Q Would you call yourself a wildlife biologist?

6 A Yes.

7 Q Do you consider yourself an expert in endangered species?

8 A No.

9 Q Okay. Do you consider yourself an expert in mining impacts
10 on wildlife?

11 A Good question. I have knowledge of mining impacts on
12 wildlife. Yes, I guess I would consider myself an expert, as I'm
13 the one who's historically signed most of the metallic
14 mineral leases and the one who has to respond to
15 applications. So, yes.

16 Q And what -- other than what you've just told us is the basis
17 for that expertise, what would you count among your
18 experiences as rendering you an expert in mining impacts on
19 wildlife?

20 A I would say the involvement with the iron mines in Marquette
21 County, which are the only currently active mines we have, a
22 long history of involvement on the Empire and Tilden Mines.
23 I was also involved as a consultant on restoration of the
24 Republic Iron Mine.

25 Q Okay. And why don't you give us -- first of all, I'm not

1 particularly familiar with those mines. Are those mining
2 operations on a scale equal to, larger, smaller than this
3 proposed mine?

4 A They're actually much larger, very large open pit mines.
5 They're basically in an area just south of Ishpeming, very
6 visible from the air. As a matter of fact, the highest
7 point in Michigan would be the tailings from the Empire Mine
8 if they didn't on purpose keep it pushed down, because they
9 don't want that dubious distinction. But they take up a
10 very large amount of land.

11 Q And do you have familiarity with underground mining?

12 A Only in a very general way. We had an active gold mine
13 during my tenure as biologist at Gwinn, the Ropes gold mine
14 north of Ishpeming. But we had no active involvement with
15 that mine at all. It was all contained on private lands and
16 had nothing to do with that mine.

17 Q Okay. Have you studied underground mining operations from
18 the standpoint specifically of their impact on wildlife? I
19 mean, academically or through courses or anything like that.

20 A No.

21 Q And how about sulfide mining operations? Have you studied
22 sulfide mining for its impact on wildlife?

23 A No, I have not.

24 Q To your knowledge, has the proposed Eagle Mine been studied
25 from the standpoint of measuring or predicting what noise

1 levels will be emitted from the mining operations through
2 blasting, vehicular use and so forth in terms of decibel
3 measurement, anything like that?

4 A Not to my knowledge.

5 Q How about emission of light, daytime, nighttime, in terms of
6 how many lumens or what impact it might have predictably on
7 wildlife?

8 A As far as I know, that wasn't looked at.

9 Q Okay. Are you familiar with any quantitative assessment of
10 the various impacts of human activity predicted at this
11 proposed mine on wildlife? Has anything been measured or
12 assessed quantitatively that you know of?

13 A No.

14 Q You mentioned that I believe your early experience with
15 environmental impact assessments included right-of-ways?

16 A That's correct.

17 Q And what are the impacts that right-of-ways -- creations of
18 right-of-ways have on wildlife that you've had experience
19 assessing?

20 A It certainly changes the landscape, opens areas up that were
21 timbered to open lands, has an impact in terms of certainly
22 changing habitat.

23 Q Okay. And this would include, for example, electrical
24 easements, those kinds of right-of-ways?

25 A Yes.

1 Q And right-of-ways for passage of vehicles?

2 A Yes.

3 Q And it's recognized that the creation of these right-of-ways
4 through forest, for example, can have an adverse effect on
5 wildlife at the exact location and for some distance away
6 from the right-of-way? Is that part of what's assessed?

7 A I wouldn't say routinely there's an adverse effect. There
8 is an effect. It changes things. There's the potential for
9 an effect if there was an endangered species that might be
10 impacted, of course. But that's kind of why we review those
11 projects for.

12 Q Would you expect that the introduction of -- I'll start with
13 the ore trucks -- 40 ore trucks a day going back and forth
14 on the roads near the proposed mining operation would have
15 some effect on wildlife along the routes that they follow?

16 A There is the possibility of vehicle collisions. Usually we
17 see most of that on primary roads where vehicles are
18 traveling at a higher rate of speed. But probably there
19 would be road kill for small animals certainly along the
20 route, I would think.

21 Q Okay. Are you familiar with the spruce grouse?

22 A Yes, I am.

23 Q Do you know about its characteristic friendliness towards
24 humans and human activity?

25 A Yes, I do.

1 Q I mean, it's one of the things that might happen here if
2 there's a lot of vehicular traffic that doesn't currently
3 exist is that the occasional spruce grouse might get run
4 over?

5 A It's conceivable. But you don't, you know -- spruce grouse
6 are a species of special concern. There's not a lot of
7 them. I can't honestly say as I've heard of a spruce grouse
8 being hit by a vehicle, although it could very well happen.
9 More it's through deliberate illegal poaching or accidental
10 misidentifying them as ruffed grouse and them getting shot.
11 You don't see too many spruce grouse on the roads.

12 Q Okay. They are present in the Yellow Dog Plains area;
13 correct?

14 A They are definitely present in the Yellow Dog Plains area.

15 Q And the fact that they're of special concern translates into
16 what from the standpoint of your role working for the state
17 as a wildlife biologist?

18 A There's not a lot we specifically change because they're on
19 a special concern list. That means that their population is
20 being monitored. They're not doing great, could do worse.
21 There's nothing that we change in our operations
22 specifically because of spruce grouse. To give them special
23 consideration, a lot of changes in the landscape aren't
24 necessarily positive or negative. They're just different.
25 And when trees get cut, species that benefit from young

1 regenerating growth benefit were those that like the mature
2 stuff like spruce grouse, they thrive in over mature Jack
3 Pine is where they do best, don't do as well.

4 Q Are you familiar with other species of special concern in
5 the area of the Yellow Dog Plains?

6 A Perhaps. I can't call the entire list of special concerned
7 species off the top of my head, but there probably are some
8 others.

9 Q Okay. Do you know that the wood turtle is a species of
10 special concern?

11 A That sounds right.

12 Q Okay. And they're present in Marquette County; correct?

13 A I believe they are.

14 Q Would you expect that specific effort might be made to look
15 for wood turtles in preparing an environmental impact
16 assessment given that they're a species of special concern
17 in the area?

18 A I would say a turtle survey would be unusual. Most surveys
19 don't survey for everything that might conceivably be there.
20 They're much more generalist in nature.

21 Q You looked at the environmental impact assessment here and
22 saw that no surveying was done for turtles; correct?

23 A That's correct.

24 Q Do you know that the eastern box turtle lives in the general
25 area of the Yellow Dog Plains?

1 A I don't know that to be true or not.

2 Q Okay. Are you aware that it is a species of special concern
3 itself?

4 A Again, I don't have the list in front of me, but I'll take
5 your word for it.

6 Q Okay. I guess I'm curious about this, and I don't know if
7 you know the answer. But is there some qualitative
8 difference between the value of, let's say, reptiles and
9 amphibians from your standpoint as a wildlife biologist that
10 would explain why certain of them don't get inventoried or
11 haven't been inventoried in this environmental impact
12 assessment while fur-bearing mammals maybe are inventoried?

13 A I don't really know of reason as to why they aren't
14 specifically surveyed. I guess I don't have an answer to
15 it, anymore than any conceivable species of insect.

16 Q Have you been involved in the FERC re-licensing of the
17 Sturgeon River?

18 A Not of the Sturgeon River. I've been involved in the
19 Atrrain basin and the Cataract basin.

20 Q Okay. And you've seen the environmental impact statements
21 that were prepared in connection with the re-licensing
22 operation?

23 A Yes.

24 Q How would you compare those environmental impact statements
25 with the environmental impact assessment that was done here

1 for this operation?

2 A They weren't nearly as comprehensive overall would be my
3 assessment.

4 Q And did somebody else in your department have responsibility
5 for the Sturgeon?

6 A Yeah. That would be Rob Aho, I believe, the biologist at
7 Baraga.

8 Q Okay. Do you have any familiarity with the scope of the
9 environmental impact statement and follow-up studies done
10 for the Sturgeon River?

11 A I believe he made comments on it, and that's about as far as
12 I know that he was involved in that process.

13 Q Would it surprise you, if you can answer this, to learn that
14 the study of the Sturgeon River and that dam generated
15 thousands of pages of wildlife and related studies before
16 re-licensing was approved?

17 A That would surprise me, because it wasn't nearly as
18 extensive on the other projects that I mentioned.

19 Q You talked about this 10 percent per year study cycle; is
20 that right?

21 A Inventory cycle.

22 Q Inventory cycle. When, then, was the last inventory done of
23 the Yellow Dog Plains in this particular cycle?

24 A The official last one would have been the year 2000, year of
25 entry, which means the field work would have been done just

1 before that, probably 1998, 1999. That compartment is
2 currently coming up again for review as part of the 2010
3 entry year. And the field work was just done the past few
4 months and is still being done.

5 Q Okay. So the last -- and what's inventoried in this cycle?

6 A Basically land cover types.

7 Q It's not a wildlife study?

8 A Not per se. Obviously, we as biologists make observations
9 on wildlife habitat. But typically unless there's something
10 really unique, it's not written down. It would be quite
11 redundant if we listed animals over and over again, common
12 animals.

13 Q You know, back for a moment to what has shown up in the EIA
14 here and what hasn't, is there any pattern, do you think, to
15 what species are surveyed based on what species make
16 detectable noises and which ones are silent or quiet? In
17 other words, I'll just give you my own view of this. You
18 can go out and listen for frogs, but you can't listen for
19 salamanders, so no salamanders have been studied; correct?

20 A I believe they did do some searching for vernal pools of
21 which you wouldn't really expect vernal pools in that
22 country. But, yeah, salamanders are quiet and, you know,
23 not finding vernal pools, I know that salamanders didn't go
24 any further than that.

25 Q Okay. Do you have any doubt that there's salamanders living

1 in the area of the Salmon Trout River?

2 A I suspect there's salamanders.

3 Q Likewise, turtles?

4 A I expect that there are.

5 Q Okay. And no turtles have been inventoried in connection
6 with this proposed mine, have they?

7 A No, they have not.

8 Q And beyond the box turtle and the wood turtle, we would
9 expect Blanding's turtles in this area, would we not?

10 A It's possible, but we don't have data specific to turtles,
11 so I couldn't really say.

12 Q How about the five-lined Skink? Do you know what that
13 lizard is?

14 A I'm familiar with it but, you know, certainly not expert on
15 its habits.

16 Q Okay. Are you familiar with its habitat description as
17 being fragmented habitat living on the edges of woods and
18 fields and cut-over areas? Is that familiar to you?

19 A I'm not real familiar with it, but it wouldn't surprise me
20 if that were its preferred habitat.

21 Q Okay. In any event, were any lizards inventoried in this
22 EIA?

23 A Not to my knowledge.

24 Q You saw that a very limited number of frogs were
25 inventoried -- correct? -- number of frog species?

1 A Yes.

2 Q Okay. And which ones do you recall were found?

3 A Spring Peeper for sure. I'm not sure on the others.

4 Q Okay. Wouldn't you expect in this area to find, for
5 example, leopard frogs?

6 A I'm not sure that you would. We do -- we have done singing
7 frog surveys a lot. I've been involved in quite a few of
8 those. And I'm not sure you would get leopard frogs there.
9 I'm not --

10 Q I mean, you know they live in the Upper Peninsula and
11 specifically in Marquette County; correct?

12 A Yes.

13 Q Okay. How about Pickerel frogs? Would you expect them?

14 A Not necessarily. Mostly what we get are Spring Peepers and
15 wood frogs on our routes, predominantly. I'm not saying
16 that you can't get others on occasion, but it's rare.

17 Q How about gray tree frogs? They're not rare up there, are
18 they?

19 A They are on our survey routs.

20 Q Are they? Bullfrogs?

21 A Again, rare.

22 Q Mink frogs?

23 A Never had one on any of my routes.

24 Q But you know these all to be indigenous to Marquette County,
25 do you not, sir?

1 A Well, they may be, but we certainly haven't picked them up
2 on our routes, with the exception of bullfrogs. I have had
3 bullfrogs a couple of times on my routes.

4 Q They're pretty unmistakable when they're making noise;
5 right?

6 A Pretty unmistakable, yeah.

7 Q Now, you have been going out to the Yellow Dog Plains
8 approximately four times a year for a number of years; is
9 that correct?

10 A That's correct.

11 Q Okay. And you go out in the wintertime to survey, to
12 inventory, fur-bearing animals; correct?

13 A Yes. Basically, our -- I didn't do those routes myself, but
14 they transport our technician to run those routes.

15 Q And the reason you go out in the wintertime is because
16 that's the best time to track fur-bearing animals; correct?

17 A Yes. In terms of seeing tracks, that certainly is.

18 Q If you're looking for a martin or -- well, let's see. You
19 didn't mention -- let me withdraw that. You did not mention
20 looking for either beaver or porcupine among the fur-bearing
21 animals. Is there any particular reason for that, or just
22 you stopped your list at some point?

23 A I just -- porcupines I don't think we take data on. Beaver
24 I don't think they're listed because they're pretty confined
25 to the lodge that time of year. I'm not sure of whether

1 it's on the list of species we look for or not. There's
2 written codes, numbered codes. But we wouldn't really
3 expect beaver to be really active during that time of year.

4 Q Okay. But certainly martin, fisher and bobcat?

5 A Martin, fisher, bobcat, coyote, red fox.

6 Q And as far as you know -- and you've seen all of those in
7 the area that we're talking about -- correct? -- tracks at
8 one time or another?

9 A Tracks. It depends -- are we talking about the area
10 specific to the mine itself?

11 Q Well, the general area of the proposed mining operation.

12 A The general area would contain the bulk of those species,
13 yes, very general area.

14 Q Martin, fisher, bobcat, moose?

15 A Moose not in the wintertime. And it depends on where you
16 are. In the Jack Pine -- anywhere there's Jack Pine it's
17 predominantly coyote is what we pick up for the fur-bearer.

18 Q And I asked a bad question, so I didn't really get an
19 answer. On martin and fisher, they've been seen in that
20 area. Tracks have been seen over the years by you probably?

21 A They've been seen in that area. But by meaning "that area,"
22 would be not specific to the mine site. It would have been
23 other areas near the McCormick tract, for instance, or up
24 the Northwestern Road away from Jack Pine plains.

25 Q In any event, this EIA that was submitted by Kennecott

1 didn't inventory martin or fisher or bobcat at all, did it?

2 A Not specifically. But I'm sure they would have been listed
3 had they been encountered. But again, right specific to the
4 mine site, I wouldn't expect those species, per se. Perhaps
5 bobcat, but martin and fisher, not quite in that cover type
6 I wouldn't expect them.

7 Q Okay. Isn't it also true that you wouldn't expect them to
8 have shown up in this EIA because nobody went out in the
9 wintertime and looked for anything? I mean, it makes it
10 pretty hard to find Pine Martin tracks if all you do is go
11 out from May to September; correct?

12 A It would make it a little bit more difficult. But, you
13 know, you do -- you can detect what's there. I mean, there
14 are tracks in sandy roads, you know. You do pick up coyotes
15 and whatever else is out moving around.

16 Q It's not the best way to find out if a bobcat lives
17 someplace is to go out in the summertime, is it?

18 A No, it's not the best technique probably.

19 Q And this EIA found no bobcat, found no martin, found no
20 fishers; correct?

21 A That's correct.

22 Q Do you know what were the scientific criteria used in this
23 mining application to define the affected area?

24 A I know they set up the study area. I'm not quite sure
25 what -- I know it because it was immediately adjacent to the

1 mine. But other than that, I don't recall what specifically
2 was written about that.

3 Q Okay. In fact, do you think you have read anywhere a
4 description of how the affected area was determined
5 scientifically?

6 A Not that I recall.

7 Q Do you know who Peter Kailing is?

8 A I believe I saw a transcript of some of his testimony.

9 Q Did you --

10 A He's a biologist, I believe.

11 Q I mean, he's sort of in your same field, is he not?

12 A I believe he is a wildlife biologist.

13 Q Okay. And did you read his testimony that he started out
14 with direction as to what area to study as opposed to
15 determining what the affected area was? At least that was
16 his role.

17 A I don't recall that specific portion of his testimony.

18 Q In your visits to the Yellow Dog Plains at various times a
19 year, how would you describe it in terms of, you know, how
20 crowded it is with people?

21 A It's not -- I wouldn't call it crowded. That's for sure.
22 It is not totally isolated. There is a hot dog stand along
23 the snowmobile trail if you're ever looking for a good dog
24 when you're out there. The Big Bay Snowmobile Club does --
25 has maintained a hot dog stand out there. But it's

1 certainly not wilderness, but it's not crowded.

2 Q You were a member of the mining team; correct?

3 A That's correct.

4 Q How did the mining team function?

5 A It wasn't a highly structured organization. It was

6 basically folks involved in this review getting together,

7 putting their heads together, sharing information.

8 Q And how was the activity of the mining team recorded?

9 A It wasn't recorded.

10 Q Okay. Was there a decision not to record it?

11 A Not that I recall.

12 Q And did you or anybody else raise a concern, you know, "If

13 we're not keeping notes or minutes of the meetings, how are

14 we going to remember what all we discussed and decided last

15 time?"

16 A I don't recall anybody bringing it up.

17 Q Okay. Was it ever brought up that it would just be better

18 not to make a record because then, you know, it could be

19 obtained through FOIA or something like that?

20 A No. I don't recall that.

21 Q Did anybody take any notes of the meetings of the mining

22 team?

23 A Not that I 'm aware of.

24 Q You didn't ever write down anything?

25 A It -- no.

1 Q And about how often did the mining team meet?

2 A Oh, it wasn't regularly scheduled. It was on an as need
3 basis as deadlines would approach. I'm not really sure how
4 many face-to-face meetings we had. I don't even know.
5 Maybe a half dozen, something like that.

6 Q And over what period of time did the half dozen meetings
7 occur?

8 A Oh, I would say from spring of '06 to just before the permit
9 was issued probably, the 632 permit.

10 Q Do you know a gentleman named Wilson Blake?

11 A Doesn't ring a bell.

12 Q He was not on the mining team, as far as you know?

13 A As far as I know.

14 Q How about a David Sainsbury?

15 A Doesn't ring a bell.

16 Q Was there a time when it was brought to your attention that
17 the mining application process was going to be stopped
18 because some documents were missing?

19 A Yes, I do recall that.

20 Q Okay. And how did you learn about that?

21 A I believe we got that from Joe Maki. I can't remember
22 whether it was by phone or e-mail or what. But I believe
23 Joe told us about that.

24 Q Okay. And what do you recall that he told you?

25 A Just basically what you just said; that the process is

1 stopped. There's some concerns over some misplaced
2 documents, and that's about all I recall about it.

3 Q Did you learn who was involved in the misplacement of the
4 documents or how this had come about?

5 A Not really, not directly involved in that. I don't recall
6 being involved in that aspect of it at all.

7 Q Have you ever met with, been in a meeting with Director
8 Chester about this mining application?

9 A No.

10 Q Have you been in a meeting where he participated by phone?

11 A We had a meeting that there was some phone participation. I
12 don't remember it as being Director Chester. I remember it
13 as being Skip Pruss, I think. I think the director was
14 supposed to be there, but had a conflict and couldn't make
15 it, is my recollection of it. But I might be wrong. I'm
16 not super familiar with DEQ personnel.

17 Q It sounded to me as if you were saying in your direct
18 examination testimony that you were told that this mining
19 operation was going to be done in a way that would not have
20 significant environmental impact and that -- and that that
21 was from your standpoint was good enough for you,
22 approximately?

23 A In terms of environmental aspects, water quality, air
24 quality, totally relied on the professionals in DEQ for
25 that.

1 Q Okay. This was not any assessment you did yourself?

2 A No, definitely not.

3 Q Okay. Do you know one of the concerns about sulfide mining,
4 maybe the leading concern, is acid mine drainage or acid
5 rock drainage it's called sometimes?

6 A I understand that that's a pressing concern.

7 Q And that that's a pressing concern because other sulfide
8 mining operations have leached sulfuric acid bearing heavy
9 metals into the environment; correct?

10 A You know, I don't know that to be a fact, but I know that is
11 the concern and that is the claim.

12 Q Do you know what mud puppies are?

13 A Sure; primitive kind of salamander that lives in the mud,
14 bottoms of lakes.

15 Q Ugly looking, aren't they?

16 A Ugly looking; caught a few ice fishing.

17 Q And are you familiar with the fact that the populations of
18 mud puppies have been declining in Michigan over the recent
19 years?

20 A I'm not aware of that.

21 Q Are you aware of their particular sensitivity to the
22 acidification of water lower pH?

23 A I'm not aware of that.

24 Q Were mud puppies inventoried in this environmental impact
25 assessment, as far as you know?

1 A No, I don't believe they were.

2 Q You know that they live in Marquette County?

3 A It certainly wouldn't surprise me, but I have no data on mud
4 puppies in Marquette County.

5 MR. WALLACE: Could we look at your first exhibit,
6 which I think was 58?

7 MR. REICHEL: That's correct.

8 Q This is the comments document that you submitted; correct?

9 A That's correct.

10 Q Respondent's 58 and it's the second page. Tell us a little
11 bit more, if you could, about what communications went on
12 within the Wildlife Division reflecting their concern about
13 the offsite ore transportation route.

14 A Most of our concern dealt with issues that were totally
15 unrelated to the mine itself and the 632 permit. It was
16 about general development in Northern Marquette County.

17 Q And what was that concern? That increased development would
18 increase road usage which would have an impact on wildlife?

19 A Well, new roads might increase more development, more houses
20 being built, that sort of thing, not at all specific to the
21 mine site, mining operation per se.

22 Q Well, I mean, this comment is specific to the mine; right?
23 It's your comments on the mining application.

24 A It's a comment on the transportation route that we knew
25 wasn't covered under 632 rules, but we wanted to voice it

1 anyways.

2 Q Who told you that it wasn't covered?

3 A I'm not sure anyone told me per se. I guess it was my
4 belief that it wasn't covered, and as a group on the mining
5 team, I believe that was the consensus.

6 Q I mean, you recognized, as members of the Wildlife Division,
7 that ore transportation could have an impact on wildlife --
8 correct? -- on the roads?

9 A It wasn't the ore transportation portion of it that was the
10 concern. It was the new roads that was concerned,
11 particularly if they were permanent.

12 Q Well, I guess I'm trying to get at what you meant when you
13 said, "The Wildlife Division is concerned about the offsite
14 ore transportation route." Were you concerned about the ore
15 transportation?

16 A We were concerned about the route and whatever sort of
17 traffic would be on that potential new road. In this case,
18 the cause of the new road would have been ore
19 transportation, but if it was some other issue, forest
20 products related, whatever, we would have the same concern.

21 Q Is it of concern to you as part of the Wildlife Division of
22 the DEQ that transportation of -- it could be wood, it could
23 be ore, apparently, in your mind, will have an affect on
24 wildlife along the route or it can? It has that potential?

25 A We don't have a concern about the transport of ore. We're

1 not concerned about the occasional road-killed animal or,
2 you know, the fact that ore is moving down the road.

3 Q Who other than the DEQ, you know, is regulating any concern
4 about wildlife effects along ore transportation routes as
5 far as you know? Is there some other regulatory body that's
6 looking out for the wildlife concerns when ore trucks are
7 going back and forth on forest roads?

8 A None that I'm aware of.

9 Q It would be the DEQ, if anybody; correct?

10 A Well, I'm not sure -- DEQ isn't really regulating the route
11 other than the rules say they have to have one. DEQ doesn't
12 get to say, "No, you can't transport ore this way. They
13 just have to provide a route, which they have.

14 Q And then what you look at is, is this going to have an
15 effect on wildlife?

16 A We have some concerns over broad development in Northern
17 Marquette County, and that's where our concern for the new
18 roads come from. It's not specific to the mine or ore
19 transportation.

20 Q But in any event, if anybody is to be concerned about the
21 impact on wildlife along an ore transportation route, it
22 would be the DEQ, not some other regulatory body that we
23 could look to?

24 A I don't think anyone is regulating the ore transportation
25 route and its effect on wildlife. I don't believe that's

1 covered under the 632 rules, from my understanding of the
2 rules.

3 Q The Kirtland's warbler that was identified in 2006 was doing
4 what when it was identified, if you know?

5 A It was singing.

6 Q It was a male; correct?

7 A That is correct.

8 Q Why do you think it was singing?

9 A Mating season.

10 Q It was singing because it expected a female to be there;
11 correct?

12 A Yes.

13 Q It had looked at the habitat that it flew to and thought
14 this was a good place to find a mate and to nest; correct?

15 A Yes.

16 Q And the females don't sing back, do they?

17 A No, they don't.

18 Q So typically if you're looking for a breeding pair, you're
19 most likely to find the male. You're considerably less
20 likely to find the female; correct?

21 A That's in general -- generally that is true. But where
22 warblers in get in a high enough concentration, you can find
23 females, and you can find nests. We have found females. We
24 have found nests and Marquette County and we have banded
25 young Kirtland warblers in Marquette County.

1 Q Did the EIA reflect that anybody -- well, let me ask you
2 this: The nests of the Kirtland warblers occurred down at
3 the bottom of the trees in the dense branches and needles of
4 the jack pine; correct?

5 A Right. They're down at the ground level.

6 Q Ground level but well hidden?

7 A In general, they're not easy to find.

8 Q Is there any reflection in the EIA or the appendices to the
9 EIA that anybody went around looking where you would expect
10 to find the Kirtland's nest in the jack pine areas of the
11 Yellow Dog Plains near this mine looking for such nests?

12 A No. You would have to find the birds first which would lead
13 you to the nest. So, no, they didn't look for nest
14 structures themselves.

15 Q And you haven't done that yourself in the Yellow Dog Plains?

16 A I haven't done it personally in the Yellow Dog Plains, no.

17 Q Is Ives Lake part of the Huron Mountain Club property, do
18 you know?

19 A Yes.

20 Q And there's a wolf pack associated specifically with Ives
21 Lake; correct?

22 A The pack is associated with the deer yarding complex of the
23 Huron Mountain Club. And they move around based on timber
24 cutting. This past winter they were in the Ives Lake area
25 because of timber harvest in that area.

1 Q So there was some harvesting that made it amenable to use as
2 a deer park by the deer --

3 A Deer were --

4 Q -- which made it a deer yard, which made it attractive to
5 wolves to make that sort of their home turf for the winter?

6 A It's always been a deer yard. The cutting of trees provided
7 a food source with concentrated deer which, in fact -- which
8 attracted the wolves.

9 Q Okay. And you would expect these wolves, members of the
10 pack based in the Huron Mountain Club property to be among
11 the wolves that traversed the Yellow Dog Plains; correct?

12 A That would be reasonable.

13 Q The three packs you described are not all of the packs in
14 the UP; correct?

15 A No, they are not all of the packs.

16 Q They are the three closest packs to this proposed mining
17 operation; correct?

18 A That is correct.

19 Q And the closest of those three packs is the Huron Mountain
20 Club pack; correct?

21 A Yes, it would be.

22 MR. WALLACE: Your Honor, could have a short break
23 to look at the exhibit and gather my thoughts?

24 JUDGE PATTERSON: Sure.

25 (Off the record)

1 Q I just have a few more questions, Mr. Koss. Do you know
2 William Taylor? Do you know who he is?

3 A Not that I'm aware of.

4 Q When I asked you a series of questions about the DEQ's
5 responsibility for environmental issues along the ore
6 transportation route earlier, would your answer apply
7 equally to the DNR?

8 A In terms of?

9 Q Not having any responsibility or jurisdiction for wildlife
10 protection along the ore transportation route.

11 A We have responsibilities for wildlife protection everywhere
12 in the state, so --

13 Q Okay. But with respect to this mining statute?

14 A I don't -- I don't think -- you know, specific to the mining
15 statute, no.

16 Q Okay. Are you at all familiar with the Flambeau Mine? Do
17 you know what that is?

18 A I've heard of it.

19 Q Has it ever been brought to your attention that the
20 principal contamination that's resulted from the Flambeau
21 mining operation has been along transportation routes? Do
22 you know that?

23 A I have not heard that, no.

24 Q In your direct testimony you mentioned -- in fact, I think I
25 wrote down this quote accurately. Correct me if I'm

1 wrong -- that we felt that any contaminants would end up in
2 the water. Do you recall saying that?

3 A Ultimately, yes.

4 Q And that's because contaminants, even if they don't go
5 directly in the water, if they're going to land on the
6 ground surrounding the mining operation, they're going to
7 eventually wash into the creeks and rivers; correct, sir?

8 A That was our thought.

9 Q And you know that that's true based on your years of
10 experience as a wildlife biologist and your concerns about
11 contaminants in the water; correct?

12 A No, more previous work with the DEQ Water -- well, it was
13 DNR Water Quality Division is where that came from.

14 Q Earlier on in your career?

15 A Earlier on my career.

16 Q Have you ever seen any snake eggs in the Yellow Dog Plains?

17 A Can't say as I have.

18 MR. WALLACE: That's all I have.

19 MR. REICHEL: Just so I'm clear, do Mr. Egan and
20 Mr. Haynes have questions for this witness?

21 JUDGE PATTERSON: That was my next question.

22 MR. HAYNES: No questions.

23 MR. EGGAN: No questions.

24 MR. REICHEL: I have just a couple of things I
25 want to follow up briefly on redirect, sir.

REDIRECT EXAMINATION

BY MR. REICHEL:

Q One of the last questions Mr. Wallace asked you was about your understanding that any contaminants -- or paraphrasing, any contaminants would end up in the water. Do you recall being asked about that?

A Yes.

Q I just want to clarify something here. Based upon your review of the mine application and your understanding of what's being proposed here, do you have any reason to believe that, in fact, contaminants will be released from this proposed mine into the waters of the state?

A No, I have no reason to expect that.

Q So your earlier comment in that regard, if I understood it -- well, strike that. Was your earlier comment having to do with your observation that you understood the DEQ staff would be looking at potential air and water impacts?

A Yes, totally.

Q Mr. Wallace also asked you at one point to compare the environmental impact assessment that you reviewed in connection with this project to environmental impact assessments or statements for some dam re-licensing projects. Do you recall that?

A Yes.

Q Just to follow up on that subject a little more, I think you

1 testified previously that during the course of your career
2 you have looked at various other environmental impact
3 assessments; correct?

4 A That's correct.

5 Q In totality of the ones that you have had occasion to
6 review, how would you compare the one that you reviewed in
7 this case, first in terms of quality and scope and detail?

8 A Way more extensive, way more scientific methodology based
9 than anything I've experienced in the past.

10 MR. REICHEL: I have nothing further. Thank you,
11 sir.

12 MR. HAYNES: Your Honor -- I'm sorry. Mr. Predko,
13 are you --

14 MR. PREDKO: I do have a couple.

15 RE-CROSS-EXAMINATION

16 BY MR. PREDKO:

17 Q Mr. Koss, Mr. Wallace had asked you some questions about
18 turtles and salamanders; do you recall that?

19 A Yes.

20 Q And I put up on the screen here -- it is Exhibit 3.4 or
21 Figure 3.4 to the Wetland Delineation Report. And I'm not
22 going to ask you about wetland delineations, Mr. Koss. I
23 just put this up here for a frame of reference. Do you
24 recognize this as an aerial view of the Yellow Dog Plains in
25 the general area of the proposed mine?

1 A Yes, I recognize it.

2 Q And with respect to turtles -- well, let me first ask you:
3 I'm pointing with the laser pointer here to an area just
4 above the outcrop which is this yellow figure here.

5 A Yes.

6 Q And is this (indicating) the area, just above that outcrop,
7 the area of the 92-acre site that you said you believed
8 would be disturbed by the surface facilities?

9 A Yes.

10 Q And you understand that this area to the right here is all
11 cut-over jack pine; correct?

12 A Yes; that's correct.

13 Q And this darker area here to the left, that's mature jack
14 pine?

15 A That's correct.

16 Q And the soils in that area here, the whole 92 acres, are
17 very dry and sandy?

18 A Yes. It's a rubicon sand.

19 Q Now, does that make up, that area, preferred habitat for
20 either turtles or salamanders?

21 A No, it wouldn't be.

22 MR. PREDKO: Nothing further. Thank you, Mr.
23 Koss.

24 MR. HAYNES: Your Honor, if I may, Mr. Reichel's
25 redirect went into an area that I'd like to explore with a

1 couple of questions with the witness I think.

2 JUDGE PATTERSON: Okay.

3 MR. HAYNES: Mr. Koss, my name is Jeff Haynes. I
4 represent the National Wildlife Federation, one of the
5 Petitioners in this case.

6 CROSS-EXAMINATION

7 BY MR. HAYNES:

8 Q In Mr. Reichel's redirect he asked you to compare the
9 environmental impact assessment that you reviewed for this
10 project in comparison to some other environmental impact
11 assessments that you reviewed. Do you recall that question?

12 A Yes.

13 Q And you understand, don't you, that the environmental impact
14 assessment that was prepared for this project was
15 prepared -- it was supposed to have met certain statutory
16 and rule or regulatory requirements for completeness; right?
17 You understand that?

18 A Yes.

19 Q You're not expressing an opinion, today, are you, on whether
20 or not the environmental impact assessment for this project
21 meets those statutory and regulatory requirements, are you?

22 A I'm not sure I understand your question.

23 Q Okay. You compared the EIA in this project with others that
24 you reviewed; right?

25 A That's correct.

1 Q And you compared the completeness, for lack of a better
2 word, for his EIA compared to other assessments or impact
3 statements that you've reviewed in the past; right?

4 A That's correct.

5 Q But you are not expressing an opinion today, are you, on
6 whether or not the EIA on this project actually conforms to
7 the statute, Part 632, and the Part 632 rules, are you?
8 You're not expressing that opinion, are you?

9 A I'm suggesting that as part of my review and my knowledge of
10 the 632 rules and the parts that I reviewed, it appeared
11 that -- in the requirement of the 632 rules.

12 Q It appears, but you're not -- you don't have an firm opinion
13 on that, do you, as to whether it meets the legal
14 requirements?

15 A I'm not an attorney, and, no, I don't have a legal opinion
16 as such.

17 MR. HAYNES: Good. Thank you. That's all I have.

18 MR. WALLACE: Just a couple questions.

19 RE-CROSS-EXAMINATION

20 BY MR. WALLACE:

21 Q Mr. Predko drew your attention to the area where the
22 buildings and principal mining operations will be
23 conducted -- correct? -- aboveground, surface --

24 A Yes.

25 Q -- and asked you if you expected to find turtles there;

1 correct?

2 A That's correct.

3 Q In fact, the two kinds of turtles we talked about, wood
4 turtles and box turtles are terrestrial turtles; right?

5 Correct, sir?

6 A Yes. They exist on the ground.

7 Q They don't spend their time in the water; they spend it up
8 on dry ground; correct?

9 A I'm not sure that they never get near water. I'm not that
10 familiar specifically.

11 Q But they mostly live up on high, dry land; correct, sir?

12 A I would suspect that they do.

13 Q And, in fact, box turtles, one of the turtles of special
14 concern, its diet includes, unlike most turtles, berries and
15 vegetation; correct, sir?

16 A I'm not sure.

17 MR. WALLACE: I have nothing further.

18 MR. REICHEL: Your Honor, two things: first, it's
19 with some reluctance that I feel that I need to follow up on
20 Mr. Haynes last question here.

21 FURTHER DIRECT EXAMINATION

22 BY MR. REICHEL:

23 Q I understand your testimony -- obviously you're not an
24 attorney and you're not offering a legal conclusion;
25 correct?

1 A That's correct.

2 Q But just to be clear, as a member of the mining review team,
3 you were asked -- you were given access to Part 632 and its
4 rules; correct?

5 A That's correct.

6 Q And did you look at those aspects of the statute and the
7 rules that pertain to environmental impact assessments as
8 they related to wildlife and threatened and endangered
9 species? Correct?

10 A Yes.

11 Q And based upon your review of the information contained in
12 the EIA, in your view, did the EIA in the areas that you
13 focused on adequately address what you understood to be the
14 requirements of the act and the rules?

15 A Yes. That was my conclusion.

16 MR. REICHEL: Just one other matter: Unless I
17 missed, I believe there was no resolution of Mr. Predko's
18 proffer of exhibits. So I don't know where we stand on
19 that.

20 MR. PREDKO: You're right. We haven't heard from
21 Mr. Wallace.

22 MR. WALLACE: I read through the exhibit with
23 great interest in the break and I have no objection to it.
24 I think it was mis-described at one point by Mr. Predko as
25 being 686 to 696 or something. It's 687.

1 JUDGE PATTERSON: Yeah. He said both.

2 MR. WALLACE: He said both, yeah.

3 MR. REICHEL: Perhaps we should state the --
4 clarify Mr. Predko --

5 MR. PREDKO: I covered myself.

6 JUDGE PATTERSON: Okay.

7 MR. REICHEL: Yes. It is Intervenor 387 to 396.

8 MR. REICHEL: Respondent has no objection, your
9 Honor.

10 MR. WALLACE: And then I misspoke apparently, but
11 I have no objection to the exhibit proffered.

12 MR. EGGAN: No objection.

13 JUDGE PATTERSON: Okay. No objection, it will be
14 entered.

15 (Intervenor's Exhibits 387 to 396 received)

16 (Off the record)

17 MR. REICHEL: Your Honor, at this time Respondent
18 calls Edmond Eary -- L. Edmond Eary. Excuse me.

19 REPORTER: Do you solemnly swear or affirm the
20 testimony you're about to give will be the whole truth?

21 MR. EARY: I do.

22 L. EDMOND EARY, Ph.D.

23 having been called by the Respondent and sworn:

24 DIRECT EXAMINATION

25 BY MR. REICHEL:

1 Q Good morning, Dr. Eary. Could you please state your full
2 name and spell your last name for the record?

3 A My full name is Lory, L-o-r-y, Edmond, E-d-m-o-n-d, Eary,
4 E-a-r-y.

5 Q Okay. And Dr. Eary, what is the nature of your professional
6 work?

7 A I am an aqueous geochemist.

8 Q An aqueous geochemist?

9 A Yes.

10 Q Doctor, were you contracted by the Michigan Department of
11 Environmental Quality to participate in a review of certain
12 aspects of the mine and permit application of the proposed
13 Eagle Mine as they relate to issues of geochemistry and
14 mineralogy?

15 A Yes.

16 Q And, Dr. Eary, have you previously provided us with a copy
17 of your Curriculum Vitae or resume?

18 A Yes, I did.

19 MR. REICHEL: Your Honor, I would note for the
20 record that we did previously disclose to the other parties
21 some time ago Dr. Eary's resume which, through an oversight,
22 was not previously assigned an exhibit number. We have now
23 assigned the Exhibit Number -- proposed Exhibit Number
24 Respondent's 215. And just to clear up the record, at this
25 time I would move for admission of that document.

1 MR. YOUNG: No objection.

2 MR. EGGAN: No objection, Judge.

3 JUDGE PATTERSON: That wasn't part of the original
4 stipulation?

5 MR. REICHEL: Well, it was in the sense that it
6 want a resume; we stipulated to them. But the probation,
7 your Honor, on my part, I neglected to assign an exhibit
8 number to it, so --

9 JUDGE PATTERSON: Okay. If there's objection, it
10 will be entered.

11 MR. EGGAN: None.

12 MR. HAYNES: No objection.

13 JUDGE PATTERSON: Okay. thank you.

14 MR. HAYNES: We took Mr. Reichel to task for that
15 earlier, your Honor.

16 MR. REICHEL: I'm still bleeding, your Honor.

17 (Respondent's Exhibit 215 received)

18 Q And, Dr. Eary, in preparation for your testimony here today,
19 have you prepared some slides to outline some of the topics
20 that you anticipate testifying about?

21 A Yes, I have.

22 MR. REICHEL: Your Honor, we have marked for
23 identification as Respondent's proposed Exhibit 214 solely
24 for demonstrative purposes, as has previously been the case,
25 a series of slides that Dr. Eary prepared.

1 Could you please bring up 214, the first slide?

2 Q Dr. Eary, is this the first in a series of slides you
3 prepared?

4 A Yes, it is.

5 Q And what is the point of this slide?

6 A This is an outline of the topics I have in this set of
7 slides.

8 Q Okay. So that includes qualifications and experience,
9 permit review, purpose and approach, conclusions and
10 comments on Petitioners geochemical review; is that correct?

11 A Yes, those are the main topics.

12 Q Okay. In terms of qualifications and experience, let me
13 first ask you -- well, first of all, your academic and
14 professional experience are detailed in your resume;
15 correct?

16 A Yes, they are.

17 Q but let me first ask you about your formal educational
18 background beginning with college.

19 A I have a bachelor's of science from -- and geology from the
20 University of Michigan, 1978, and then a master's and Ph.D.
21 in geochemistry and mineralogy from Penn State University,
22 1981 and 1983.

23 Q Okay. Let me just stop you there. Could you -- the court
24 has already heard a fair amount of testimony from various
25 people about geochemistry, but could you just explain

1 briefly the range of subjects that you've studied in
2 pursuing your master's and Ph.D. in geochemistry and
3 mineralogy?

4 A the range of subject ranges is from basic geology and
5 structural geology to mineral identification and
6 characteristics. And also a fundamental part is
7 thermodynamics and kinetics in geochemical processes and
8 their use in interpreting geochemical processes either
9 numerically or in models or by observation.

10 Q And in pursuing your Ph.D. in geochemistry and mineralogy,
11 what was the subject of your doctoral dissertation and
12 research?

13 A My Ph.D. thesis was a numerical model of mass flow and
14 transport for the leaching of uranium in pyrite during in
15 situ mining operations.

16 Q That's not intended as a criticism, but that's quite a
17 mouthful. Could you please describe what -- in a little
18 more detail what that detailed and how, if at all, that sort
19 of research is relevant to some of the issues that you
20 expect to testify to today?

21 A The thesis was a combination of experimental studies on
22 reaction kinetics specifically for uranium minerals and also
23 iron sulfides and then the conversion of those experimental
24 data into a mathematical model which described the movement
25 of the leaching products through a groundwater system.

1 Q So in other words, it had to do with geochemical processes
2 and the transport of certain chemicals into a water system.
3 Is that --

4 A Yes, a groundwater system.

5 Q And did that involve or is it -- to any extent involve
6 leaching caused by sulfide-containing compounds?

7 A That was a part of the study, yes.

8 Q And since completing your academic degrees, after you
9 completed your degrees, how were you first professionally
10 employed in the fields of geochemistry and mineralogy?

11 A Directly after graduate school I worked at Pacific Northwest
12 National Laboratory in Richland, Washington. And I worked
13 there as a senior research scientist, and I did fundamental
14 and applied research in geochemistry specifically aqueous
15 geochemistry, and topics range from chemistry of metals in
16 the environment, surface water and groundwater systems. I
17 also worked on nuclear waste-related aqueous geochemical
18 issues. I worked on uranium mining reclamation. I worked
19 on projects on molecular dynamic modeling of chemical
20 systems. And then I spent a number of years working on
21 modeling the effects of acid rain on water quality and
22 watersheds in the northeastern U.S.

23 Q And let me ask you to describe in more detail to what extent
24 your work involved the use and application of numerical
25 models.

1 A I worked on the development of a few geochemical codes that
2 are in common use today. One is called MINTEQ, which is now
3 used by the EPA. I worked on part of the -- development of
4 that, the internal workings of that geochemical model.
5 Another model called CTM, which stands for Contaminant
6 Transport Model, is another model that I worked on the
7 development of. And I also developed the thermodynamic
8 databases and kinetic databases that went into those models
9 as well.

10 Q And after you completed your tenure as a research scientist
11 at the Pacific Northwest National Laboratory, how were you
12 next professionally employed in the field of geochemistry or
13 mineralogy?

14 A I worked in the consulting industry as a geochemist, working
15 primarily on geochemical issues at industrial cleanup sites
16 and also mining geochemistry, mining environmental
17 geochemistry.

18 Q And as a consultant in that area, was that -- have you
19 specialized in geochemical model development and
20 application?

21 A It's been a big part of what I've done in the past and
22 continue to do now. Also the collection and interpretation
23 of testing data from environmental sites as well, something
24 that feeds into the models and also involves interpretation
25 of geochemical processes.

1 Q And you touched on this a moment ago, but you've indicated
2 that you've worked as a consultant on industrial sites.
3 Could you explain or give examples of the types of
4 industrial sites where you've worked as a geochemist either
5 in the collection or evaluation of data?

6 A Yes. I've worked at sites that have contamination problems
7 in the groundwater or surface water systems relating to
8 metals concentrations. And these are oftentimes sites that
9 were in Superfund status. I worked in the characterization
10 of the fate and transport of the metals within those systems
11 and interpret of the fate and transport using both models
12 and test data and field data.

13 Q And approximately how many such industrial site projects
14 have you worked on as a consultant over the course of your
15 career?

16 A I think it was on the order of about 20 that I could
17 specifically recall.

18 Q And, again, during the course of your career -- you touched
19 on this a moment ago -- have you also worked on mining site
20 geochemical projects?

21 A Yes. Most of what I've done has actually been in mining,
22 probably 60 percent and probably more the last few years as
23 the mining industry has increased in frequency and
24 occurrence here in the U.S.

25 Q About how many mining site projects have you worked on as a

1 consultant prior to your involvement in this case?

2 A I believe it's approximately 30.

3 Q Could you please tell the judge by of example, some of the
4 types of mining-related geochemical projects you've worked
5 on?

6 A I've worked on the front end of new mines in the permitting
7 process which involves a baseline characterization of the
8 geochemistry of the systems and prediction of what
9 geochemical processes are likely to be important in
10 controlling groundwater and surface water chemistry. I've
11 worked on similar types of things for the expansion of
12 existing mines, permit-related studies. I've worked on
13 environmental impact statements as well, also for mine
14 sites. And I've also worked on a number of sites on the
15 closure of mines that have gone beyond their lifetime and
16 are no longer in operation but are now going into the
17 closure stage.

18 Q Have these projects -- to what extent have these projects
19 involved issues of either -- involved acid rock drainage?

20 A Almost all of the mines that I've worked on have been
21 hard-rock mines, sulfide mines, so acid rock drainage is a
22 consideration I think in almost every single one of them.

23 Q And again I think we touched on this, but I'd like to be
24 clear. Some of your mining projects have involved being
25 involved in, as you put it, at the front end; that is,

1 evaluating potential impacts of proposed but not yet
2 implemented mining activities; is that correct?

3 A That's correct, yes.

4 Q As is the case here; correct?

5 A Yes.

6 Q But you also have been involved in issues where mining has
7 already commenced and there are issues associated with
8 characterizing or responding to acid rock drainage that
9 already exists?

10 A Yes, primarily in the closure phase of those mines where
11 some sort of reclamation or remediation process has to be
12 done to get the mine closed out.

13 Q And again, in terms of the type of mines, have those -- you
14 indicated that a number of them have been hard-rock mines.
15 Have they been open-pit mines, underground mines or a
16 combination of the two?

17 A It's been mostly open-pit mines. Some have been a
18 combination of both underground and open pit, and a couple
19 cases they were specifically just underground mines.

20 Q And again, leaving aside for a moment your involvement in
21 this project, during the course of your consulting career,
22 have you been involved in looking at or reviewing
23 geochemical issues in connection with either the proposed
24 development or expansion of underground hard-rock mines?

25 A I've worked on the expansion of aboveground mines but not

1 underground mines.

2 Q And what about the -- have you looked -- strike that. Do
3 you have any professional licensing credentials?

4 A One license as a professional geologist from the State of
5 Wyoming.

6 Q During the course of your career in geochemistry and
7 mineralogy, have you had occasion to review and analyze
8 documents put together by others in the geochemical and
9 mineralogy field?

10 A Yes, I've done that on a number of occasions.

11 Q This slide contains a reference to -- it indicates that you
12 are an associate editor for Mine Water and the Environment,
13 a journal of the International Mine Water Association.
14 Could you explain what that association is and what the
15 nature of the publication is?

16 A The Association of -- the International Mine Water
17 Association is a scientific association. It's a
18 multidisciplinary group of people involved in mining
19 environmental issues, and they are interested in
20 transferring technology and data and scientific knowledge
21 and understanding issues like acid mine drainage and
22 generally mind water chemistry. They --

23 Q Well, what is the -- oh, go ahead. I'm sorry.

24 A They sponsor a journal called the Mine Water and
25 Environment. And that journal publishes scientific peer

1 reviewed papers on topics related to mine water and
2 environmental issues.

3 Q And what is your role with respect to that publication?

4 A I'm an associate editor so I receive papers, I organize
5 reviews of those papers and also do the peer reviews myself
6 and then do the acceptance or rejection of those papers for
7 the journal.

8 Q Your slide also refers to the Acid Drainage Technology
9 Initiative Steering Committee. Could you explain what that
10 is and what your role in it is?

11 A That organization is a group of basically volunteers that
12 have technical backgrounds in environmental issues related
13 to acid mine drainage. And it's comprised of people from
14 consulting companies like myself, also academics, mining
15 companies and also a number of people from regulatory
16 agencies. The whole purpose of that group is to try to
17 improve environmental management of mines that have the
18 potential or existing problems with acid rock drainage.

19 Q And the slide also makes a reference to your role as
20 co-chairman of the Pit Lake Committee. Could you explain
21 what the Pit Lake Committee is or what the focus of that is?

22 A The ADTI, the Acid Drainage Technology Initiative, has a
23 series of workbooks that they are constructing which provide
24 sort of state-of-the-art information on different aspects of
25 mining. One of those aspects is pit lakes. Pit lakes are

1 the bodies of water that form in an open pit after mining is
2 done. Just to back up a little bit, during mining the
3 groundwater and surface water will be diverted away from the
4 open pit so that it can be mined; in other words, it will be
5 dry. But after mining ends, those dewatering systems are
6 ended, and the open pit will fill up with water. Because
7 the water is in contact with rocks that were exposed at the
8 surface and some of which may be sulfidic, the chemistry of
9 those pit lakes can be an environmental issue.

10 Q And so this pit lake committee addresses issues of how --
11 does it address issues regarding the environmental fate and
12 transport of contaminants in those lakes?

13 A Yeah. The Pit Lake Committee is involved in the development
14 of a workbook on how to predict water chemistry in pit lakes
15 prior to their formation, also how to reclaim or remediate
16 the water in a pit lake if it needs that type of process and
17 also to interpret geochemical and also biochemical processes
18 that occur in a pit lake which regulate its water
19 composition. That workbook will be published by the Society
20 of Mining Engineers later this year.

21 Q Do you have any professional affiliations beyond those
22 you've already mentioned?

23 A I belong to a few other scientific organizations that are
24 listed here: Society of Mining Engineers, International
25 Minute Water Association -- that's the same as the journal

1 mentioned above, and also the International Association of
2 Geochemistry and Cosmochemistry which is sort of a general
3 geochemical scientific organization.

4 Q Do you have any scientific publications in your fields of
5 expertise?

6 A Yeah, published a number of papers primarily on metal
7 chemistry and mining-related subjects in peer reviewed
8 journals -- I think I list -- I found about 32 of those -- a
9 number of related abstracts on similar types of subjects,
10 and also when I worked for the Pacific Northwest National
11 Laboratory I worked on a number of governmental sponsored
12 projects on which I published reports or was a coauthor on
13 reports.

14 Q And does your resume more specifically identify papers that
15 you've published?

16 A Yes, it does. I think it gives a list of --

17 Q Without going into all of so in detail, could you perhaps
18 give the judge some examples of peer review papers that
19 you've published that relate to -- that are pertinent to the
20 subjects of acid rock drainage at mine sites and methods of
21 predicting, making predictions with respect to that?

22 A The first three that you see listed are papers that will be
23 in this pit lake workbook which I mentioned previously.
24 These have to do with the interpretation and prediction of
25 water quality in mine pit lakes. If we skip down to the one

1 Eary and Williamson, 2006, this is a paper specifically on
2 the neutralization capacity of silicate rocks in acid mine
3 drainage environments, something which is a topic of
4 particular relevance to the Eagle Project. Eary, Runnells
5 and Esposito, 2003, Geochemistry and the Cripple Creek
6 Mining District, that's a sulfidic gold mine in Colorado.
7 One particular -- the next one, Eary, 1999, Geochemical
8 Equilibrium Trends in Existing Mine Lakes is a comparison of
9 how models -- geochemical models, how well they do against
10 what's been recorded in pit lakes in terms of water quality.
11 There's a number of others, I guess, as you go further.

12 Q That's fine. My question was just for some illustrative
13 examples. With respect to reports prepared for government
14 agencies, you're slide here contains a reference to
15 something for the EPA -- US EPA. What did that involve?

16 A The projects I referred to on acid rain effects on
17 watersheds were sponsored by the US EPA and also the State
18 of New York. And then more recently I did a project for the
19 US EPA for technical oversight of the geochemical modeling
20 done for the waste isolation pilot plant in New Mexico,
21 which is a defense nuclear waste repository.

22 Q And the issues you were looking at there related to the
23 potential fate and transport of materials that would be
24 stored in this repository?

25 A Yes. It was related to the models -- geochemical models

1 used to predict release in fate and transport in that system
2 their evolution over time as that repository was buried and
3 basically compressed by the confining rock layers.

4 Q During the course of your career have you also had occasion
5 to develop or present short courses on mining-related
6 topics?

7 A Yeah. I've worked on the two that are shown here.
8 Predictive modeling of pit lake chemistry was a short course
9 on development and application of models, geochemical
10 models, to predict water quality in pit lakes. The other
11 one was using geochemical models and interpretations to
12 improve reclamation during closure of hard-rock mines.

13 Q And I think we touched on this before, but have you also
14 during the course of your career -- professional career been
15 involved in doing critical reviews of documents prepared by
16 others in the field?

17 A Yes. I've done that for a number of different journals.

18 MR. REICHEL: Bring up the next slide, please.

19 A Yeah, I think the next slide has some of these things. I've
20 also done -- the US EPA, to review some of the documents
21 related to some of the Department of Energy geochemical
22 modeling studies, and that's specific to those nuclear waste
23 sites. And then I've also reviewed -- or worked as a
24 reviewer for research proposal for grant funding for a
25 number of different agencies as well which are listed here,

1 USDA, National Science Foundation, State of California.

2 Q Have you also done peer -- been a peer reviewer for
3 scientific journals?

4 A Yeah. The second bullet on the bottom there gives a list of
5 journals that I've done peer reviews for over the years.

6 Q I'd like to turn now to your involvement in this project.

7 MR. REICHEL: Your Honor, I know we're approaching
8 lunch. I can go on a little farther, or this sort of a
9 logical break here.

10 JUDGE PATTERSON: Okay. Why don't we do that?

11 (Off the record)

12 MR. REICHEL: Ready, your Honor?

13 JUDGE PATTERSON: I am.

14 Q Dr. Eary, one question I neglected to ask you this morning
15 was the name of the company for whom you currently work, the
16 consulting firm?

17 A I currently work for a company called MWH Americas,
18 Incorporated.

19 Q And where is that located?

20 A My office is one of many offices for MWH. It's located in
21 Fort Collins, Colorado. The headquarters is Broomfield,
22 Colorado.

23 Q And what is the range of the services that that company
24 provides?

25 A Its primary areas are in water treatment, mostly for

1 municipalities, water treatment systems in engineering
2 design and construction. Also large construction projects
3 such as hydroelectric dams, dams for mining facilities as
4 well, things like tailings dams, and also sort of a broad
5 range of environmental services to both industrial and
6 mining clients.

7 Q Okay. And how long have you been with that company, sir?

8 A I started there in March of 2007.

9 Q And at the time you first became involved in this project,
10 what company were you working for?

11 A At that time I worked for a company called MFG,
12 Incorporated.

13 Q And where was that based?

14 A That was also in Fort Collins, Colorado.

15 Q And what was the nature of MFG's business and your role in
16 that business?

17 A MFG is a subsidiary of a company called Tetra Tech,
18 Incorporated, and they offer sort of a full range of
19 environmental services; characterization, remediation and
20 monitoring.

21 Q I would like to turn now to your direct involvement in this
22 project. Dr. Eary, if you recall, how do you first become
23 involved in working for the DEQ in connection with this
24 proposed mine?

25 A There was an inquiry to our company at MFG, to one of my

1 colleagues; Joe Maki.

2 Q Okay.

3 A My colleague was not able to do the work, and he referred me
4 to Joe Maki. And I then talked to Joe Maki by telephone.

5 Q And what did Mr. Maki indicate to you about the nature of
6 the technical assistance that the DEQ was looking for?

7 A He said that there was going -- they were expecting a mine
8 permit application to be submitted, and that permit included
9 geochemical studies. And Joe asked me to do a -- if I was
10 interested in doing a review -- a technical review of those
11 geochemical studies.

12 Q And did you understand from your conversation with Mr. Maki
13 that you would be one of a number of people asked to review
14 various aspects of the anticipated mine permit application?

15 A Yes. There were other people that looked at other areas,
16 and I was focused on geochemistry.

17 Q And in connection with -- and so I take it you or your firm
18 entered into a contract with DEQ to provide consulting
19 services to the agency?

20 A Yes.

21 Q And once that was done, among other things, were you -- were
22 the State of Michigan mining statute regulations; that is,
23 Part 632 and the Part 632 Rules made available to you?

24 A Yes, they were.

25 Q And what was your understanding as to whether or not part of

1 what you're being asked -- did you have an understanding as
2 to whether or not you were being asked to perform your
3 technical review of the anticipated mining permit
4 application with respect to the requirements of the state
5 mining statute and rules?

6 A Yes, I understood that I needed to keep those in mind as
7 well as my own professional judgment on these types of
8 studies.

9 Q Okay. After the mining permit application was submitted to
10 the Department of Environmental Quality in February 2006,
11 were you provided a copy or access to the mining permit
12 application?

13 A Yes.

14 Q And were there particular parts of the mining permit
15 application and supporting materials on which you were asked
16 to focus?

17 A Yes. I was asked to focus on the geochemical studies which
18 were involved in Phase I and Phase II studies I think as how
19 they were termed. And those were appendices to the main
20 permit.

21 Q And have you prepared a slide that identifies key documents
22 that you reviewed in connection with that?

23 A Yes.

24 MR. REICHEL: Can you go to slide 5, please?

25 Q And under heading "Documents Reviewed," are these the --

1 could you just briefly walk through the principle documents
2 you looked at in your initial review?

3 A The initial review was focused on the Appendix D-1, D-2,
4 D-3, D-4 and D-5. Those were the specific geochemical
5 studies that were done as part of this permit.

6 Q That was the first five bulleted items there?

7 A Yes, the five bullets.

8 Q Okay. Let me just stop there. In connection with your
9 review of those documents, did you read any other aspects of
10 the mining permit application to give you an understanding
11 of the context in which the mining was proposed to be
12 implemented and associated activities including storage and
13 management of development rock?

14 A Yes, I also read these reports listed under "Related
15 Permits" reports. One was the geological description of the
16 deposit; then also the main permit application as well just
17 for general background.

18 Q Okay.

19 A I also went through some parts of the groundwater quality
20 calculations. And I think that was part of the groundwater
21 permit portion of the set of documents.

22 Q And just so this clear, was it your understanding, sir, that
23 at the same time that Kennecott applied for a mining permit
24 to the DEQ under this Part 632, it concurrently applied for
25 a permit to discharge treated water to the groundwater under

1 another state statute?

2 A Yes, I remember Joe Maki telling me that.

3 Q In the course of your initial review of these documents,
4 what did you -- first, you read the documents; correct?

5 A Yes.

6 Q And in the course of your initial review, did you attempt to
7 identify any areas where you desired additional information
8 or clarification of what was presented?

9 A Yes. I prepared a list of questions that I wanted answers
10 for that would -- points of clarification I think in the
11 geochemical studies.

12 MR. REICHEL: Could you please bring up proposed
13 Exhibit 48?

14 Q Could you identify for the record what this is, Dr. Eary?

15 A This is the list of, I think, 20 or 21 questions on the
16 geochemical studies that I -- areas that I wanted
17 clarification or further explanation.

18 Q Okay. Just a couple of details about this document. It's
19 addressed to Mr. Mark Logsdon, Geochimica. Why did you send
20 this to Mr. Logsdon?

21 A Originally after I talked to Joe Maki, I asked if I could
22 communicate with Mr. Logsdon -- or Dr. Logsdon directly or
23 if I should go through DEQ. Joe Maki said, well, cc him on
24 all communications. Then that changed about the same time
25 that I sent this. Actually this date should be 2006.

1 Q Okay. Just so the record -- there's an apparent
2 typographical error in the date of the letter?

3 A Yes. And at that time, Joe said that he was compiling a
4 large list of questions, and he wanted to submit those all
5 at once. So he asked me to send it actually straight to
6 him.

7 Q So I don't want to --

8 MR. REICHEL: Could you scroll down a bit because
9 this --

10 Q Does this letter have an attachment to it, a list of
11 questions; is that correct?

12 A Yes. That's the list starting right there.

13 Q Okay. That's fine. After you sent this initial list of
14 questions, did you ask for any further clarification of
15 information contained in the mining permit application
16 appendices you were looking at?

17 A Yes, it was -- I came up with one more question after this
18 one, and that's in a separate letter.

19 Q Okay.

20 MR. REICHEL: Could you please bring up Exhibit
21 49?

22 Q Dr. Eary, is this the supplemental or the transmittal of one
23 additional request for clarification?

24 A Yes.

25 Q And this was sent in -- dated April of 2006; is that

1 correct?

2 A Yeah. The date here is correct.

3 Q Okay. And again, if you know, was this also made available
4 by you to Mr. Maki?

5 A Yes. I sent this to Mr. Maki.

6 Q Okay. And you touched on this a moment ago, but you
7 indicated it was your understanding that Mr. Maki or the DEQ
8 around approximately this time period was putting together a
9 compiled list of questions, request for information from
10 various other participants in the review process, is that
11 your understanding?

12 A Yes.

13 MR. REICHEL: Could you please bring up Exhibit
14 67? If you could scroll down a little bit?

15 Q Exhibit 67 as has previously been identified was a June
16 21st, 2006, letter from Mr. Maki to Kennecott. Directing
17 your attention, can you read that, sir, or do we need to
18 make it bigger?

19 A Yes, this is fine.

20 Q Okay. Directing your attention to a series of questions
21 that begin with numbered paragraph 2, do you recognize any
22 of these as reflecting or reiterating questions or request
23 for clarification that you had?

24 A Yes. Starting with number 2, those look like my questions.

25 Q Okay.

1 A Number 1 is not.

2 Q Okay.

3 MR. REICHEL: And could we go to the next --

4 Q Starting with 2, would that be down through that first page?

5 A Yes.

6 Q And what about on the second page, sir?

7 A Everything there that I see looks like my questions down to

8 number 19, also number 20.

9 MR. REICHEL: Could you scroll down a little

10 further?

11 A 21. It looks like they stop at 21.

12 Q So if I understand you correctly, questions 2 through 21

13 contained in this document reflect questions that you had

14 raised where you were seeking additional information about

15 the application?

16 A Yes, I think -- yes.

17 Q If you know, did Kennecott ultimately respond to Mr. Maki's

18 correspondence with responses to these questions?

19 A Yes. I received a -- the response which I think contained

20 the answers or responses to all of the questions, and I

21 think there were 90 odd total.

22 MR. REICHEL: Could you please bring up Exhibit

23 69? And I'd like you to scroll down to I think it's the 4th

24 or 5th page in where the main body of the attachment is.

25 Q There's a number-by-number response beginning with --

1 MR. REICHEL: Could you scroll down a bit more,
2 please? Thank you. Just stop there, please.

3 Q Beginning with comment number 2 and continuing down through
4 2, if you recall, sir, did Kennecott provide a response to
5 each of the items 2 through 21 that have been incorporated
6 in Mr. Maki's letter?

7 A Yes.

8 Q And if you recall, did any of those responses refer to
9 another document that was attached to or sent
10 contemporaneously with this letter?

11 A Yes. Along with these responses, they also sent me a set of
12 test data for the kinetic tests that they had run which had
13 a longer time period than the tests that were referred to in
14 the permit documents.

15 MR. REICHEL: Could you please bring up Exhibit
16 76? I'm sorry. I misspoke. Just one moment, Exhibit --

17 A It should be a list of -- or just I think three tables.

18 Q Yes. I believe it's -- just one moment, please.

19 MR. REICHEL: I believe I was looking for number
20 71.

21 A No, I don't think that's it.

22 MR. REICHEL: I apologize, your Honor. Please go
23 back up to number 70.

24 Q Okay. Do you recognize this document, sir?

25 A Yes. I think this is the document.

1 MR. REICHEL: Could you scroll down, please?

2 Pause there, please.

3 Q Dr. Eary, does this appear to be a copy of the supplemental
4 information that was provided to you?

5 A Actually could you scroll down to the bottom of this page --
6 to the bottom of this table? And a little bit more, please.
7 Yes, this is it.

8 Q Okay. And again this compiles some data from kinetic tests?

9 A Yes.

10 Q We're going to get into that in a little more detail, but
11 these are tests that were conducted in connection with the
12 geochemical characterization supporting the permit
13 application; is that correct?

14 A Yes.

15 Q And I believe these data -- excuse me -- the responses to
16 your questions 2 through 21 and the tables that we just
17 looked at in Exhibit 70 were provided to the DEQ in late
18 October of 2006. Did you receive a copy of that same
19 information around that time or shortly thereafter?

20 A I think that's about the right time frame, yes.

21 Q After you received that information, did you then proceed to
22 complete your initial review of the geochemical information
23 submitted by Kennecott in support of the permit application?

24 A Yes.

25 Q As a part of your contract with the DEQ, was it anticipated

1 that upon completion of your review you would put together a
2 written report or technical document summarizing the results
3 of your review?

4 A Yes. That was in the scope of work which I submitted as
5 part of the contract.

6 Q And so after you had gone through your review including the
7 supplemental material submitted by Kennecott that we just
8 talked about, did you in fact put together a report or a
9 memo summarizing your review and your conclusions about the
10 nature of the information that had been submitted and its
11 relationship to the proposed mining plan?

12 A Yes.

13 MR. REICHEL: Could you please now bring up
14 Exhibit 76?

15 Q This has the title "Review of Geochemistry Studies for the
16 Kennecott Eagle Project Permit Application" dated November
17 30th, 2006.

18 MR. REICHEL: Could you scroll down, please?

19 Q And this indicates you were the author of this document;
20 correct?

21 A Yes.

22 MR. REICHEL: Okay. Could you scroll to the next
23 page on Table of Contents and just hold it there, please?

24 Q Does this Table of Contents summarize the discussion that
25 you provided and the different aspects of it?

1 A Yes.

2 Q And so that included a review of the mine plan summary and
3 the areas that you were asked to review; is that correct?

4 A Yes, that's correct.

5 Q And did you also look at the characterization of the
6 geological materials that were present at the proposed mine
7 site?

8 A Yes.

9 Q And did you also look at the predictions of potential for
10 acid drainage and metal leaching made in the permit
11 application document?

12 A Yes. That was a large part of it based on these different
13 types of tests and modeling that would be done as well.

14 Q And did your report or memorandum also address the subject
15 of mitigation and monitoring programs that you understood to
16 be proposed as part of the permit application?

17 A Yes.

18 Q All right.

19 MR. REICHEL: Could you go to page 4?

20 Q There was a summary of your report at the beginning;
21 correct?

22 A Yes.

23 MR. REICHEL: Could you scroll down a bit or the
24 introductory section, I should say? Keep going down,
25 please. Okay. Could you hold it there and, if possible,

1 enlarge the bottom paragraph? Thank you.

2 Q Was this your general summary of what you looked at and what
3 you concluded in this document?

4 A This is the general summary based on the various points
5 above; yes.

6 Q Yes. And I'll ask you a series of questions related to
7 those substantive points in a moment. But could you read
8 into the record that summary paragraph that I've directed
9 your attention to?

10 A As written?

11 Q Yes, please.

12 A "In summary, it is concluded that the geochemical
13 studies follow industry practice and provide a thorough
14 characterization of the rock types that would be mined
15 at the Kennecott Eagle Project and their potential
16 reactivities. The proposed mitigation plans are
17 expected to be adequate for minimizing the potentials
18 for acid drainage and metal leaching and preventing the
19 dispersal of leachates in the groundwater and surface
20 water systems surrounding the mine site assuming that
21 they work as described in the mine plan."

22 Q And is that -- recognizing it's general, is that an accurate
23 summary of your overall conclusion in this report?

24 A Yes.

25 Q Now, in preparation for your testimony today, have you --

1 you've already indicated this, that you prepared a series of
2 slides to illustrate or help explain the approach that you
3 took to your review in this project; is that correct?

4 A Yes, that's correct.

5 Q And do those slides describe some of the key topics that
6 you've considered and addressed in this report that we just
7 looked at here?

8 A Yes. They are something of an expanded summary of the
9 conclusions.

10 Q Okay.

11 MR. REICHEL: Could you bring up slide 6, please?

12 Q Okay. What are you attempting to summarize or outline in
13 this slide, Dr. Eary?

14 A This was my approach for reviewing the geochemical studies.
15 It was based on sort of the general areas that are
16 recommended in industry technical guidance documents. And
17 those guidance documents focus or recommend that these
18 studies be focused on three main areas. One is the
19 characterization of the geological materials. Second is the
20 prediction of the potential for acid rock drainage and metal
21 leaching based on the characterization. And then based on
22 this prediction is to identify or develop mitigation and
23 monitoring programs. These are all done within the main
24 context of -- the purpose for actually doing the geochemical
25 studies is to guide management decisions in the mine plan as

1 how to deal with any issues related to acid generation and
2 metal leaching that could occur as a part of mining. This
3 is one of the main precepts in this reference right here,
4 MEND, 2005. The next line actually gives that complete
5 reference.

6 Q Okay. And before we get into that next line, is it your
7 testimony that as a professional working in this field you
8 are aware of some guidance documents that -- prepared by
9 various parties that attempt to identify issues that should
10 be considered as a part of a geochemical review in a
11 situation such as this where there is concern about acid
12 rock drainage?

13 A Yes. There's no one single recipe for doing these sorts of
14 studies, but there are a series of technical reports which I
15 refer to as guidance documents put out by either
16 governmental agencies or the people in the field. Those
17 documents have evolved over time, but they generally have
18 the same sorts of recommendations within them how to -- what
19 types of information are needed for a geochemical
20 assessment.

21 Q Okay. And have you prepared a slide identifying some of the
22 guidance documents of that nature that you've looked to?

23 A Yes. The next slide lists the documents which I referred to
24 as reference.

25 Q Could you elaborate on the first one, this M-E-N-D which

1 appeared in your previous slide? First, what is that, and
2 why did you consider it useful to refer to it?

3 A "MEND" refers to "Mine Environment Neutral Drainage. This
4 is a program in British Columbia, Canada which provides
5 information on acid rock drainage problems and mitigation
6 procedures at different mine sites. And they also have --
7 in this case this document gives a list of potential
8 requirements in metal leaching and acid rock drainage
9 assessment, which is specific to sulfide hard rock mines.
10 This is one of the best documents or summaries around that
11 contains this sort of information. It actually is an
12 outgrowth of the work by Price and Errington also at -- in
13 British Columbia, who have done a lot of work in this field.

14 Q And this slide identifies some other documents or reports
15 that, if I understand you correctly, you referred to and
16 believe helped to identify relevant information to be
17 considered in a geochemical review of this type?

18 A Right. One of the older documents -- it's somewhat
19 outdated -- is this USEPA report. It's still a reasonable
20 reference with some things. I looked at that. Another
21 related report from Region 10 of the USEPA on mine
22 characterization and a more recent document by Maest, et al,
23 2005 which is entitled, "Predicting Water Quality at
24 Hardrock Mines: Methods and Models, Uncertainties and State
25 of the Art." This is a summary of a lot of the concepts

1 which are also in MEND and Price and Errington, which is
2 also a useful document.

3 Q And again, if I understand you correctly, these documents
4 help to focus on the kinds of information that people in the
5 field who are doing these kinds of analyses should or could
6 consider in analyzing a potential for acid rock drainage and
7 metal leaching?

8 A Yes.

9 Q Okay. As a result of the work that you did in the -- your
10 initial review on this project that I think you testified
11 was further described in your November 2006 report, have you
12 reached some principle conclusions or opinions as to some
13 major geochemical issues relating to this project?

14 A Yes.

15 Q And have you prepared a slide summarizing those?

16 A Yes. Those should be on the next slide, or at least an
17 outline of those issues.

18 Q Okay. We have up slide 8. What are you stating here, Dr.
19 Eary?

20 A In my review I thought that there were four main areas that
21 were geochemical issues. The first one which relates to the
22 two slides previous is, "Is the characterization of a
23 geological system adequate in terms of sampling and
24 analysis?" By "analysis" I mean determination of the
25 chemical properties of the rocks. Second, what is the

1 predicted leaching chemistry for the TDRSA, the development
2 rock storage area? What went into the data that was used to
3 make that assessment, and also the modeling methodology?
4 Number three, "What is the water chemistry exiting under the
5 underground mine during mining?" is another issue.

6 Q And before we leave it, when you talk about "water chemistry
7 of mine drainage during mining" are you talking about, as
8 you understand it, water that would be under the mining plan
9 be pumped to the surface for treatment?

10 A Yes. Yes, water that is collected in the underground
11 workings and brought to the surface.

12 Q Okay. And the fourth major issue?

13 A The fourth, "After mining is done what is the chemistry in
14 those underground workings as the groundwater system
15 recovers back to its natural state?"

16 Q That is, after the completion of mining?

17 A Yes, after the completion of mining.

18 Q And getting ahead of ourselves a bit. After the mine is
19 reflooded; is that correct?

20 A Yes.

21 Q So have you prepared a series of slides then going into
22 greater detail about your review on each of these major
23 topics?

24 A Yes.

25 Q Okay. Before we get into the details of this, Doctor, I

1 think the record is already clear and the court has heard
2 some testimony that as a part of the permit application
3 process efforts were made to use samples of different types
4 of rock from the mine site and subject them to various
5 screening and testing procedures; is that correct?

6 A Yes.

7 Q Okay. And so is that what this major topic is dealing with?

8 A Yes. Referring to the technical guidance documents; they
9 give recommendations on what should be sampled and
10 characterized. The primary focus of that sampling is
11 materials that will be stored aboveground primarily for
12 extended periods of time or be exposed due to mining. In
13 this case that would be the underground mine surfaces.

14 Q And focused on these it would be exposed because?

15 A Because they would be subject to weathering by rain and air
16 and surficial processes which are different from their
17 natural state underground. Now, they are specific -- excuse
18 me. For the Eagle project this includes the development
19 rock, which goes into the TDRSA, and the underground mine
20 surfaces within the mine itself.

21 Q Okay. So in other words, this goes to the issue of what
22 types of rocks are going to be analyzed and what the -- what
23 sort of tests would be applied to them?

24 A Yes, this refers to the initial screening types of tests
25 that are going to be analyzed and also the rocks that

1 actually will be stored for some extended period of time at
2 the mine site.

3 Q And you indicated that for the Eagle project these would
4 include development rock and underground mine surfaces;
5 correct?

6 A Yes.

7 Q Would that rock to be subjected to the screening process,
8 would -- in your understanding of the appropriate procedure,
9 would that include samples of the orebody itself?

10 A No; not in general. My understanding is, is that the ore
11 will not be stored but will be shipped off site as soon as
12 it can, I guess.

13 Q Okay. And could you elaborate further about what other
14 considerations you understand go into the kind of sampling
15 program that should be done; that is, are you -- just
16 putting your first bullet there at the bottom of the slide,
17 you -- could you explain what you mean by that statement?

18 A All geochemical assessments when they collect data have to
19 address all of the major rock types. In this orebody we
20 have country rock; we have intrusives, which are not ore;
21 and then we have ore. It's a -- the rocks that we want to
22 characterize are the ones that are going to be stored
23 aboveground, which includes primarily the non-ore materials,
24 and this includes, as I said, the country rock and also the
25 peridotite which is the intrusive, which is not ore grade.

1 The samples that were collected characterize all of those
2 major rock types in terms of their acid potential and their
3 neutralization potential, their chemical composition, and
4 also their leaching potential.

5 Q So you're now talking -- does this represent your conclusion
6 as to whether or not the samples that were screened here
7 were in fact represented of all the major rock types and --

8 A Yes; yes. And secondarily the number of samples sort of on
9 a per-unit mass basis appear to be adequate compared to most
10 ranges of numbers of samples per unit mass of rock that I've
11 seen in technical guidance documents.

12 Q Okay. And your slide references EPA guidelines?

13 A EPA is one of the few places that gives a few ranges of
14 recommended sampling frequencies. It's generally sort of a
15 site-to-site difference depending on the amount of
16 variability in the rock. In this -- at this site we don't
17 have a lot of different rock types, so the number of samples
18 per type is actually fairly high. If a deposit has a large
19 number of rock types then it requires more sampling.

20 Q Okay. But if I understand the point of your slide
21 correctly, you're indicating that in your judgment the
22 number of samples at this stage on a per-mass basis of the
23 development rock met or exceeded what you consider to be
24 relevant guidelines?

25 A Yes.

1 Q Okay. Have you also prepared a slide summarizing what you
2 understand to be the -- commenting on the sampling approach
3 that was used in this project?

4 A Yes.

5 MR. REICHEL: Can we go to slide 10, please?

6 Q Could you walk us through the principle conclusions that
7 you've reached with regard to the approach used for sampling
8 on this project?

9 A The initial screening types of tests that I refer to in the
10 previous slide in terms of numbers of samples includes tests
11 like static tests which include measurements of the acid
12 potential and neutralization potential of the different rock
13 types. Also its chemical composition, the whole rock
14 chemistry, the paste pH.

15 Q What do you mean by "paste pH"?

16 A Paste pH is a measurement of the acidity of the surficial
17 materials on the surface of the rock itself. It's an
18 indication of sort of incipient oxidation of the rock that
19 happens to be sulfidic.

20 Q And what is the next point that you refer to?

21 A The next one is short-term leaching. This is -- refers to
22 procedures like the synthetic precipitation leaching
23 procedure, which is a very quick wash-off type of test where
24 the sample of rock is inundated with a volume of water. The
25 water is allowed to sit there I think overnight, and then

1 the water is collected and the chemical composition of that
2 water is determined.

3 Q Okay. In summary, are you indicating here that this
4 reflects your understanding of some of the sampling analyses
5 approaches used by Geochimica in documents it prepared in
6 support of the mining permit application?

7 A Yes, these are the tests that they have done and these are
8 all standard tests that are recommended in technical
9 guidance documents, and one of the key things is that the
10 purpose for doing these screening tests is actually to
11 select representative samples for the long-term kinetic
12 tests, which is another part of the testing program.

13 Q So this is sort of a first screening exercise; is that
14 correct?

15 A In large part it is.

16 Q Your slide also refers to detailed mineralogical analyses.
17 Could you explain what you gleaned from the permit
18 application materials that -- provided by Geochimica and
19 what significance they have?

20 A Yes, they did a number of different mineralogical analyses
21 including x-ray diffraction, which is a procedure to
22 determine what minerals are present; transmitted light
23 microscopy and also reflected light microscopy, which gives
24 you an idea of mineral textures and also identity; scanning
25 electron microscopy is a procedure which gives you a

1 simultaneous image of the morphology of the rock as well as
2 its chemical composition. For this particular deposit which
3 has somewhat uncommon mineral rock composition compared to
4 many sulfidic deposits, these mineralogical studies were
5 quite important for interpreting the long-term leaching
6 trends that were observed in those kinetic tests.

7 Q Could you explain why that's the case?

8 A This deposit is hosted in a type of rock called peridotite
9 which is within a classification called ultramafic, which
10 refers to its high iron and high magnesium content and these
11 are iron and magnesium silicate minerals. Now, generally
12 silicate minerals would not be expected to provide much
13 neutralization potential which the exception of those found
14 in ultramafic rocks, in particular the minerals olivine and
15 one of its hydrated forms called lizardite, a serpentine
16 type mineral. There is types of silicates that actually do
17 provide some neutralization potential. In this case they
18 were identified in these different sorts of mineralogical
19 tests which provides some explanation why in the long-term
20 tests rocks, which we would expect to produce acid either
21 never did produce acid in the tests or took a long time for
22 them to do so.

23 Q A moment ago you referred to, I believe it was
24 neutralization potential?

25 A Yes.

1 Q Could you -- the court has heard some testimony on that, but
2 could you explain briefly again what you mean when you talk
3 about neutralization potential?

4 A Yeah, it might be best if I give it in context of acid
5 potential.

6 Q Yes, please.

7 A Acid potential is, as it sounds, the potential for the rock
8 to generate acid if it's exposed to oxygen and water. It's
9 based on the sulfide content of the rock, which because when
10 the sulfide oxidizes and dissolves it creates acid. Now,
11 conversely the neutralization potential is the ability of
12 the rock to buffer or neutralize that acidity that is
13 generated. Based on the balance of those two values, we
14 would make a prediction or a conclusion that the rock either
15 has a net surplus of acid potential or a net deficit of acid
16 potential. If it has a surplus, then you might expect it to
17 produce an acid leachate. If it has more neutralization
18 potential than acid potential, then we would expect it to be
19 the opposite; it would produce a neutral leachate. There
20 are exceptions in either direction, but those are sort of
21 the general types of information you can get from that sort
22 of screening tool.

23 Q Okay. And again, talked about these mineralogical analyses
24 using these different techniques, but if I understand you
25 correctly the point of this is to specifically characterize

1 the different mineral types that are present in the rock
2 samples; is that correct?

3 A That's correct. There are different minerals which
4 neutralize acidity and it's important to identify those
5 precisely as possible. And these tests or these analyses in
6 terms of numbers of samples and detail are some of the best
7 that I've seen in terms of pinning down exactly what the
8 mineral compositions are and their sort of habits and
9 morphologies within the rocks themselves.

10 Q Okay. I'd like to turn now to the second major -- second
11 issue, the temporary development rock storage area leaching
12 chemistry.

13 MR. REICHEL: Could you go to slide 11, please?

14 Q Dr. Eary, could you please summarize the main points that
15 are reflected on this slide?

16 A The first bullet refers to the static test data. This is
17 the acid potential and neutralization potential types of
18 tests. The results from those indicate that about 75
19 percent of the rocks that would be put into the TDRSA have
20 more -- have a greater acid potential than neutralization
21 potential; in other words, we would expect them based on
22 those potentials to produce an acidic leachate.

23 Q And just to interrupt you for a moment, sir. Is that
24 conclusion particularly surprising in the context of this
25 case?

1 A No, it's not. This is a sulfidic mine. There's no or very
2 little carbonate content in most of the rocks, which is a
3 major neutralizer, so it's not tremendously surprising given
4 the type of rock that we have here.

5 Q Okay. Could you turn to your next point, please?

6 A Now, the second type of tests which are the long-term
7 kinetic tests, samples for these tests are selected based on
8 the ranges of acid potentials and neutralization potentials
9 that are defined in the screening tests. In other words,
10 you could do a large number of screening tests and then you
11 pick representative samples for the long-term kinetic tests
12 to determine if a rock that we would say has the potential
13 to produce acid does it actually do so when it's subjected
14 to leaching types of conditions. So that's the purpose of
15 these long-term tests. Now, one of the generally accepted
16 things about these laboratory tests is that they are
17 expected to accelerate the acid production process by about
18 an order of nine to two or ten times.

19 Q Compared to?

20 A Compared to natural conditions in the field. And the reason
21 for that is that if we're doing a laboratory test we want to
22 see if there's a result in some reasonable time frame. So
23 the tests are designed to optimize or increase as much as
24 possible the oxidation of the sulfides and the production of
25 acidity if it's going to occur, or the opposite if it's

1 going to be neutralized.

2 Q So in other words, to create test conditions that would
3 again make it easier for the leaching potential to manifest
4 itself?

5 A Yes.

6 Q Okay. And have you during the course of your review -- how
7 would -- have you developed a slide that summarizes the
8 interpretation of these kinetic test results?

9 A Yes.

10 MR. REICHEL: Could you go to slide 12, please?

11 Q These long-term kinetic tests, there's already been
12 testimony in this case about them by various other
13 witnesses. I think they're sometimes referred to as
14 "humidity cell tests"; is that correct?

15 A That's another name for them.

16 Q But that's the same thing or you're talking about the same
17 kind of test?

18 A There are some differences in the setup of the test between
19 what is often referred to as a humidity cell test versus a
20 column test, but the procedure is the same.

21 Q Okay. In this case as you proceed with your discussion of
22 the interpretation of the results you're talking about the
23 long-term kinetic test that Geochimica performed as
24 documented in the appendices that they provided in support
25 of the permit application?

1 A Yes.

2 Q Okay. And how would you summarize the test results with
3 respect to different type -- rock types?

4 A There were sort of three main things which I noticed in the
5 data and these are based on the 50 to 70 weeks data which
6 they sent to me in response to that list of questions that
7 we sent as part of the review process. I mention that
8 because that's a longer time period than the data that was
9 in the original permit.

10 Q Okay. The original application?

11 A Yeah, the original application. What I noticed was that
12 country rocks -- these are the siltstone, sandstones and
13 hornfels. If they have an NNP -- an "NNP" mean net
14 neutralization potential; this is that difference between
15 the acid potential and the neutralization potential. Now,
16 if that value is less than zero, that means we've got more
17 acid potential than the neutralization and we would expect
18 an acidic leachate. If it's greater than zero, we would
19 expect the opposite potential --

20 Q That it would neutralize?

21 A Neutralize or a neutral solution of the leachate. So what I
22 noticed was country rocks with this net neutralization
23 potential with less than minus 20 produced acid. There were
24 actually a few tests which had negative values, but over the
25 time frames which I looked at as shown by these three tests

1 here, the leachates had neutral pH's and they also had
2 positive values of alkalinity. But the alkalinity is
3 important because that represents the capacity of the water
4 to neutralize acid. So if that's being produced, that means
5 we're producing -- the leachate has an excess capacity to
6 consume or buffer acidity. Now, we would expect all of
7 these rocks based on these negative values to produce acid,
8 but in fact only if they're less than about minus 20 do they
9 actually produce an acidic leachate.

10 Q Okay. Just to make clear, I mean the normal expectation
11 using this net neutralization potential is that if it's less
12 than zero the expectation is that would -- rock would
13 generate acid; correct?

14 A Yes.

15 Q And you're saying that for this category of rock there's
16 only the country rock with the NNP that were less than minus
17 20 actually in fact produced acid; is that --

18 A Yes, it -- for the time frames that I'm talking about you're
19 now -- some of these could potentially, if you went over
20 very long time frames, may eventually produce acid, but --

21 Q Just with reference to the data covered by this table?

22 A Yeah, with reference to this, which actually, you know,
23 represents probably a ten-fold increase over the natural
24 system, we don't see acid being generated. The -- okay.
25 The second point: country rocks with NNP's greater than

1 minus 20, as I mentioned before, produced neutral types of
2 pH's and also produced positive values of alkalinity. The
3 third point is that the intrusive rocks -- these are the
4 ones I referred to as peridotites or ultramafic rocks --
5 over quite a wide range from negative -- 41.2 was the most
6 negative one -- over to its positive range. None of these
7 produced acid over the time frames of the test data that I
8 looked at. These are summarized down here in this
9 (indicating) bottom table, the rock types are referred to as
10 peridotite, there's one called a pyroxonite and the other
11 four are peridotites.

12 After 50 weeks of testing the pH values were all
13 above neutral and also they generated fairly significant
14 amounts of alkalinity. Now, this is -- was a little bit
15 surprising, because these negative values -- we really would
16 have expected to get some acidic leachates out of these; and
17 yet, they -- and yet this does not happen, at least in these
18 test data. Now, the explanation for that goes back to the
19 fact about the mineralogical composition of the rocks
20 themselves and the fact that these peridotites are comprised
21 of the two minerals which are known to react quickly with
22 acid, which are olivine and lizardite; two minerals which
23 are generally accepted to actually provide some buffering
24 capacity are major components of these two rock types. So
25 that explains why when we would expect to get acid we don't.

1 Q Just to clarify something on this slide, there are two
2 separate tables there -- is that correct? -- on this slide?
3 Is the -- does the first table refer to test results for
4 country rocks or intrusive rocks?

5 A The first table is country rocks, and the second table is
6 the intrusives.

7 Q Okay. The peridotite?

8 A The peridotite, yes.

9 MR. REICHEL: Can we go to the next slide, please?

10 Q And I believe you just touched on this, but could you --
11 what's discussed on this slide 13? Is this essentially what
12 you just said a moment ago?

13 A This is basically the same thing as I previously said. In
14 the country rocks the silicates are not doing the buffering
15 because they are not the types that can do that, but they do
16 contain some calcite, calcium carbonate, which is the major
17 component of things like limestone which do produce rapid
18 and effective buffering of acidity. Now, these rocks have a
19 small amount of this within them and apparently it's enough
20 to prevent acid generation in many of these country rocks.
21 Now, the ones which are -- have very negative NNP values do
22 indeed produce acid; in other words, the calcite is not
23 great enough to stop that. But in the rest of them
24 apparently it is, at least over that 50- to 70-week time
25 frame.

1 The second point which I touched on is those
2 magnesium silicates. This is the olivine type minerals
3 which I referred to. These are the components of that
4 peridotite rock which are causing the buffering of the
5 acidity; in other words, the neutralization of any acid
6 that's being generated and also the positive production of
7 alkalinity.

8 Q And again, the -- you touched on this a moment ago. The
9 data that you've just been discussing was from these long-
10 term kinetic tests that -- for the data you discussed
11 extended over a period of 50 to 70 weeks; is that correct?

12 A Yes.

13 Q I believe you indicated that because of the nature of the
14 test procedure it's intended to induce leaching; correct?

15 A Yes.

16 Q Induce acid formation?

17 A They are designed to speed it up to a rate which could be
18 observable in sort of a laboratory time frame.

19 Q Okay. And so -- and you spoke earlier about what's the
20 generally -- to your knowledge, what's the generally
21 accepted relationship in terms of the amount of acceleration
22 that occurs as a result of this test procedure in relation
23 to what would be expected to exist in the field?

24 A The most -- well, probably the best description I've seen of
25 that is in the ASTM standard for humidity cell testing.

1 ASTM is the American Society for Testing of Materials, which
2 provides methods for testing of things like geological
3 materials. Their description of the test says that it will
4 accelerate the leaching or oxidation process by at least one
5 order of magnitude, so that means a minimum of ten times.
6 It could be higher than that. How much higher is difficult
7 to say, but bottom end would be ten times beyond natural
8 conditions.

9 Q So in this case if you're looking at long-term kinetic test
10 procedures conducted in the range of 50 to 70 weeks, how
11 would that relate to anticipated behavior of the rocks in
12 the field?

13 A Well, if we take that literally then 10 times 50, 500 weeks;
14 that's about ten years. So we're talking about a test
15 period which is equivalent in the field to about a ten-year
16 time frame.

17 Q And again, this is just sort of a rough relationship;
18 correct?

19 A It's a rough relationship, yes.

20 Q Going on with the interpretation of the results of these
21 tests that you've just described. Have you reached some
22 implications or interpretations of those results as they
23 relate to decisions about how the rocks in question should
24 be managed at this site?

25 A Yes.

1 MR. REICHEL: Could you then go to the next slide,
2 please?

3 Q There's a reference here to, "Management decision has been
4 to our" -- what are you referring to as -- is this
5 reflecting what is proposed in the permit application?

6 A Yes, it is.

7 Q And could you summarize the points that you've indicated on
8 this slide in that regard?

9 A Yes. Well, the reason I put this in is because the purpose
10 for doing a geochemical decision is to guide these types of
11 decisions. Now we know that the rock that will be stored in
12 the TDRSA will have an average NNP value of about minus 10.
13 Now, none of the tests indicated acid generation at -- with
14 rocks of that value of NNP, but there is the potential that
15 they could do so if we get a different mix of rocks in there
16 than what we might expect based on the test data. And also
17 to insure that there's even less possibility of generated
18 acid one of the procedures that the mine planning
19 incorporates is to add limestone. Limestone is comprised of
20 calcium carbonate predominantly, which is a strong and fast
21 acid-buffering mineral.

22 Q Or neutralizing?

23 A Neutralizing, yes. And that will give the overall NNP to
24 the TDRSA a positive value of a plus 10 value. Now, this is
25 high enough that it is within the realm based on the test

1 data where acid generation was never observed in any of the
2 tests. So this is something of an insurance factor to make
3 sure that the TDRSA rocks not generate acid over their -- I
4 think it's a seven-year lifetime. Now, the second bullet is
5 the fact that water that is collected in the TDRSA will not
6 be allowed to infiltrate or be disposed or discharged but
7 instead it gets sent to a water treatment plant. The actual
8 flow rate out of here is actually fairly low. I think the
9 water balance shows something on the order of 10 to 14
10 gallons per minute, but that water will be collected and
11 sent to a water treatment plant.

12 Q You're talking about the liquid projected to be collected
13 from the TDRSA collection system?

14 A Yes; yes. And then the third point is that the TDRSA
15 lifetime is identified as being about seven years before it
16 is all used as backfill in the underground. And this seven-
17 year time frame as we talked about before, if we compare
18 that to our time frame for generating acidity, if we just
19 say, "Well, if our test for 50 weeks is reflective of 500
20 weeks or ten years, we're now beyond the lifetime of the
21 TDRSA." And based on our tests, long-term kinetic tests we
22 would not expect acid to be generated within that seven-year
23 time frame based on those tests. Now, this is all done
24 within the context of some of the mining regulations which
25 require a liner beneath the TDRSA, a leachate collection

1 system, a leak detection system, and also a cover. It's my
2 understanding based on the mine plan that at about year four
3 approximately 90 percent of the TDRSA will be covered on the
4 top side preventing the inflow of water into the system.

5 So I think what I'm trying to summarize here is
6 that there's a number of engineering and design
7 considerations in the TDRSA that are all focused on either
8 preventing or collecting the water from this system and
9 making sure that it is not either acidic, or if it is -- or
10 no matter what it is, it gets sent to a water treatment
11 facility.

12 Q Okay. And again, it's your understanding that these various
13 management decisions that you talked about for the TDRSA had
14 some additional level of protection in the event that the --

15 MR. EGGAN: Objection; leading.

16 MR. REICHEL: I'm sorry. I'll restate it.

17 Q If the -- Dr. Eary, if the extrapolations from the kinetic
18 tests that are reflected in the Geochimica analysis that
19 you've been discussing, even if there is a greater leaching
20 potential than we predicted based upon those results as
21 you've interpreted them, does the mining plan as you
22 understand it provide additional protections for that
23 situation?

24 A Yes. I think all of these measures are all designed to
25 protect or guard against the generation of acidic and metal

1 leaching within this TDRSA.

2 Q Doctor, I'd like to turn now to the third of the major --
3 four major issues that you identified earlier.

4 MR. REICHEL: Could we go to the next slide,
5 please, number 15?

6 Q The heading on this slide refers to, "Water chemistry of
7 mine drainage during mining." Could you summarize what you
8 are attempting to convey on this slide?

9 A Yes, there's a conclusion in one of the geochemistry studies
10 is that the -- or an analysis done based on modeling and
11 extrapolation of the testing data that during mining the
12 water that is collected in the underground workings will be
13 in part derived from rocks which contain large amounts of
14 sulfide. And this is the ore rocks referred to as
15 semi-massive and massive sulfide. Those rocks are shown in
16 the kinetic long-term test to produce acidic leachates; and
17 therefore, within the mine we would expect that that
18 drainage from the mine will likely be acidic, and along with
19 that acidity will likely contain elevated concentrations of
20 metals and also probably sulfate. Now, the -- one of the
21 considerations in a geochemical assessment is what is the
22 mitigation effort that will address a problem like this.
23 And within the mine plan there is a description that
24 indicates that this drainage water will be collected, pumped
25 to the surface and then to the water treatment plant.

1 Q And we turn now to the fourth major issue regarding water
2 chemistry of groundwater in the mine areas after mining
3 ends.

4 MR. REICHEL: The next slide, please.

5 Q And how would you summarize your conclusions in this regard?

6 A After mining has ended and the system has been backfilled,
7 there will still be some exposures of sulfides that have not
8 been mined out. The mining, I think, will take out the vast
9 majority of the sulfide, but there will still be some left
10 in place. Now, that -- those sulfides would have weathered
11 and oxidized during the mining time period. If there are
12 any salts that were accumulated on those surfaces, when the
13 mine is reflooded those salts will be flushed into the
14 groundwater system and released. In combination there will
15 also be alkaline salts from the backfill; that's from the
16 limestone that was added to the TDRSA rock. And also the
17 backfill, which is meant -- mixed with cement; the cement is
18 also a strongly neutralizing agent because it's comprised of
19 lime. In this case lime plus flyash, both of which are acid
20 neutralizing.

21 Now, those salts will be released to the
22 groundwater during reflooding; at least we would expect some
23 amount of them to be released. And this will result or is
24 predicted to result in fact that there will be some
25 elevations in some solutes. In particular nickel and

1 sulfate I think are probably prime species that will be
2 elevated. There may be others, but I think these are the
3 ones which are the most likely to be released and not taken
4 back out of solution by the neutralization processes.

5 Q In light of that, what do you understand the mining plan and
6 the permit to contemplate in terms of management decisions
7 to address those contingencies?

8 A My understanding is that after the mine has reflooded that
9 there will be --

10 MR. REICHEL: Can you go to the next slide,
11 please?

12 Q I'm sorry.

13 A Well, I'll back up a little bit to get into this slide.
14 There's a couple of different -- a number of different
15 things that are part of the management decisions that are
16 incorporated into the mine plan. First of all, the
17 reflooding. To continue the oxidation process of sulfides
18 oxygen is required and this is oxygen which is dissolved in
19 water, which is the only way for it get there after the mine
20 has been reflooded. Now, there's a couple of different
21 considerations going on here. One is that there is a
22 considerable amount of neutralization capacity in the
23 limestone that was added to the TDRSA rocks. There's also a
24 fair amount in the cement that's been added to the other
25 parts of the backfill. These neutralizers will likely

1 prevent continued production of acid in the short term at
2 least, and probably also in the long term.

3 While there is still oxygen in that flooded water
4 there should be some oxygen, at least initially, in that
5 water until it's consumed by the oxidation processes. Also
6 the water that comes into the system also contains
7 concentrations of alkalinity which range from on the order
8 of 30 to 80 milligrams per liter. Not tremendously high,
9 but sort of moderate conditions which will also neutralize
10 acidity. Now, the oxygen -- or the water which is flooded
11 into the mine, as I said, will initially contain some
12 oxygen. That will be consumed fairly quickly I would
13 expect. And that will -- and once it is consumed there's no
14 process which can continue the oxidation process of the
15 sulfides.

16 And there a couple of indications that this should
17 work well for this deposit based on its geologic and
18 geochemical configuration. One is that data that I've seen
19 from the deep groundwater and also the deep alluvial water
20 is that they are oxygen deficient; in other words, as you go
21 down in depth the waters become inoxic. What this means is
22 that there are no paths or -- let me back up; one more
23 point. When we look at the detailed mineralogy that was
24 done as part of the geochemical studies there was not one
25 instance where a weathering product was found in those

1 mineralogical analyses. By "weathering product" I mean an
2 oxidation product of the sulfides. What this means; if
3 there's no rapid conduits of oxygenated water through this
4 system when it's in its natural state of hydrologic
5 equilibrium, --

6 Q Let me interrupt you there just to elaborate on that.
7 You're referring now to the detailed mineralogical
8 analysis -- correct? -- that was part of the support for the
9 geochemical review; is that correct?

10 A Yes; yes.

11 Q And you indicated that there is no -- it doesn't indicate
12 weathering. Could you explain further what that means or --
13 in terms of -- could you explain that further?

14 A "Weathering" is a general term referring to the process
15 of -- when minerals are exposed to air and water the
16 original minerals are converted to a second form of mineral.
17 That second form are what we call "weathering products" or
18 secondary minerals; in other words, they formed from the
19 alteration of the original minerals into this second type.
20 Now, those types of processes are called "weathering"
21 because they generally occur at the surface on the Earth
22 down to some depth that water can penetrate. Now, in the
23 case of this rock -- the peridotite in particular, but also
24 the country rock as well to a lesser extent -- they contain
25 a lot of iron in the form of silicates and iron oxides, and

1 none of these minerals, these primary minerals show any
2 indication that they had been altered to secondary minerals
3 by these weathering processes.

4 What this means is that the hydrologic system is
5 not conveying oxygenated waters into the system at any rate
6 that could bring the oxygenated water down into the orebody.
7 And this orebody is somewhere between one and one and a half
8 billion years old. It's had plenty of time to oxidize if it
9 possibly could, but it never has. So this --

10 Q So based -- go ahead. I'm sorry.

11 A This tells me that oxygen just never penetrates this system.
12 So the point is, is that once it's reflooded and that
13 natural state is reestablished, then I would expect the same
14 conditions to continue in the future.

15 Q And the first point of that, the fact that the rock has been
16 there -- I think you said in excess of a billion years and
17 shows no sign of weathering, what, if any, inference do you
18 as a geologist draw from that about whether or not there
19 exists features that provide conduits for infiltration of --
20 extensive infiltration of water from the surface to those
21 rocks?

22 A If there was extensive infiltration and rapid flow of
23 oxygenated water into this system, then we would either not
24 have a deposit because it would have weathered away, or we
25 would have a thick zone of these secondary weathering

1 products enveloping these sulfide minerals. This is
2 commonly what's found in most volcanic types of deposits and
3 is a common configuration. In this case we don't have that.

4 Q And so again I interrupted you there. The bottom line --
5 well, so the effect -- what would be the effect of the rapid
6 reflooding of the mine in terms of leachate potential?

7 A The rapid reflooding of the mine will, first off, reduce the
8 amount of air that's in the mine, which is a source of
9 oxygen. The amount of oxygen that can be dissolved in water
10 and actually then react with the sulfides is greatly
11 diminished; in other words, the capacity of the system to
12 cause oxidation of sulfides is greatly reduced compared to
13 during mining when air is circulated through the system so
14 that miners can work and have good air. Once it's reflooded
15 if they reflood with water from a shallow system, that water
16 will have some amount of oxygen dissolved into it. That
17 water -- or that oxygen will be consumed. Once it's gone
18 there's no mechanism to bring in more oxygen into the
19 underground system, because the natural water in the water -
20 - in the bedrock and also the deep alluvial doesn't contain
21 any oxygen, so there's no way to get it into the mine.

22 Q Okay. And just to complete the discussion that you've
23 outlined on this slide -- and this is addressed in your
24 report as well, I believe -- what other management decisions
25 are embodied in the mining plan and the permit as you

1 understand it with respect to this issue of water chemistry
2 after the completion of mining?

3 A As I mentioned before, there is still some potential that
4 some of these salts which washed off during the reflooding
5 process -- nickel in particular I think is one that came out
6 of the Geochimica studies, and sulfate I would expect as
7 well -- those will be in solution. Now, even if oxygen is
8 gone they probably will stay in solution. If they are in
9 exceedence of whatever the water quality criteria are, there
10 has been a management decision that there will be a
11 monitoring program in place -- actually, that's probably
12 part of the regulation as well -- and if the water quality
13 criteria are exceeded then they will do a groundwater
14 withdrawal and water treatment of that water and then
15 reinjection of that water back into the subsurface. And
16 that will continue, as I understand it, until the applicable
17 criteria for water quality are met.

18 Q And with respect to these management decisions as you've
19 described on this slide to address this issue of potential
20 acid rock drainage and metal leaching in the underground
21 water after the mine is -- ends, have you formed any opinion
22 based upon your knowledge and experience as to whether or
23 not you believe these mitigation -- excuse me -- these
24 management measures that you've just described are likely to
25 be effective in achieving their intended purpose?

1 A All of the management decisions that I've seen in the mine
2 plan are logical alternatives and they should be effective,
3 in my opinion.

4 Q Dr. Eary, have you prepared a slide that summarizes your
5 overall conclusions in your permit review -- permit
6 application review?

7 A Yes.

8 MR. REICHEL: Can we go to slide 18, please?

9 Q Could you walk us through those briefly?

10 A This is a summary of many of the points that we just went
11 through. These are also sort of basic points of conclusion.
12 The first one is that the geochemical characteristics of the
13 rocks -- and that means development rock and underground
14 rock exposures have been characterized by standard methods
15 and these include chemical and physical testing and those
16 are the things like the static tests, the pore pH, the whole
17 rock chemistry, the mineralogy, et cetera. They've also
18 done modeling to extrapolate the results from long-term
19 kinetic tests to what might be expected in the future for
20 leachates.

21 And this has been done for the TDRSA, the mine
22 during mining, and also the mine underground after mining
23 is -- has ended. The basic reactivities of the different
24 rock types have been identified in the testing program.
25 This is one of the major points that needs to be addressed

1 in a geochemical assessment and it's my opinion that this
2 has been adequately done. The results of the testing have
3 been incorporated into the mine plan and these are the
4 management decisions which I referred to in the previous
5 slides.

6 There are procedures to monitor and mitigate
7 sources of acid production and these include what I call
8 "passive types of systems, such as the addition of
9 limestone. And active mitigation, which I would refer to as
10 water collection, water treatment and then the mine
11 reflooding; in other words, things that you actively do to
12 manage the system. There is also a monitoring program
13 outlined, which is also another part of the recommended and
14 technical guidance documents for conducting geochemical
15 assessments.

16 And finally, as I said before, the findings from
17 the program are consistent with the major purpose of doing a
18 geochemical assessment program, which is to guide the
19 management decisions on how to deal with any environmental
20 problems that might be predicted to occur and to have those
21 within the mine plan so that they're laid out prior to
22 mining.

23 Q And in that regard, your understanding of the primary
24 purpose of this geochemical assessment; is it your
25 understanding that the primary purpose of the geochemical

1 assessment is to precisely quantify --

2 MR. EGGAN: Your Honor, --

3 MR. REICHEL: I'm sorry.

4 MR. EGGAN: Again, we're leading here and --

5 MR. REICHEL: All right, Counsel.

6 Q Do you understand -- do you have any understanding, Dr.
7 Eary, as to whether or not the primary purpose of the
8 assessment -- geochemical assessment of this type is to
9 precisely predict the concentrations of the -- numerically
10 predict the extent of acid rock drainage and metals
11 leaching?

12 A The purpose is to make those predictions with the
13 understanding that there's a fairly high level of
14 uncertainty in the actual numerical values which come out of
15 those predictions. The real result that comes out is, is
16 there a preponderance of information that indicates that
17 certain solutes or dissolved components, would they be
18 elevated or not. What that really comes down to is will
19 acid conditions occur or will they not occur? If acid
20 conditions are expected to occur, then we would expect to
21 have elevated concentrations of metals. If they don't
22 occur, then there's a much lower possibility of having
23 elevated metal concentrations. Precisely what the numbers
24 are is not so important as the recognition that those
25 conditions could occur. And if they do occur, then the mine

1 plan needs to address those in terms of mitigation and
2 monitoring programs.

3 Q In your opinion has the approach followed here in this
4 mining permit application and the permit issued
5 appropriately considered the potential for acid rock
6 drainage and metal leaching?

7 A Yes.

8 Q And in your opinion do the -- does the approach taken here
9 include the implementation of steps to reasonably minimize
10 the potential of adverse environmental impact should acid
11 rock drainage occur?

12 MR. HAYNES: Objection; lack of foundation. The
13 witness has not been qualified to testify about the
14 environmental effects of all of this. He's a geochemist.
15 He's not been qualified to opine on whether there would be
16 adverse environmental effects from acid rock drainage.

17 MR. REICHEL: Well, let me break this into two
18 parts. Let me restate the question.

19 Q Dr. Eary, do you -- have you formed an opinion as to whether
20 or not the management decisions and requirements that you
21 talked that are embodied in the mining plan and the permit
22 will reasonably minimize the potential for the release of
23 sulfates and metals that might leach into groundwaters or
24 surface waters outside --

25 MR. HAYNES: Same object --

1 Q -- outside the mine?

2 MR. HAYNES: I'm sorry. Same objection. The
3 question of whether the management decisions which the
4 witness has testified about in terms of groundwater,
5 withdrawal water treatment systems -- he's not qualified to
6 testify about those things and whether they will reasonably
7 minimize adverse environmental effects. He isn't qualified
8 to testify on those quite detailed and specific subject
9 matters.

10 Q Dr. Eary, as a regular part of your work are you called upon
11 and do you perform assessments of environmental fate and
12 transport of contaminants that may be generated from sources
13 such as this mine?

14 A Yes.

15 Q And have you -- do you have professional -- excuse me. Do
16 you have educational training in -- relevant to that sort of
17 analysis?

18 A Yes; that was a part of my training.

19 Q And have you in fact developed methods used to assess
20 environmental fate and transport or evaluate environmental
21 fate and transport of contaminants that -- of the type that
22 could potentially be generated at this mine?

23 A Yes, I've done geochemical modeling studies which are
24 directed at fate and transport of metals and acidity in
25 groundwater systems.

1 Q Do you have -- how long have you been working in -- as a
2 geochemist and mineralogist on mining related projects?

3 A I worked on a few mining projects when I worked for Pacific
4 Northwest Laboratory, which was starting in 1984. But it's
5 been mostly the last ten to twelve years that I have worked
6 primarily on mining related projects.

7 Q And in the last ten to twelve years, if I understand you
8 correctly, the bulk or the majority of your professional
9 work has been involved in mining related projects?

10 A In the most recent few years, yes. Prior to that it was
11 also industrial metals chemistry as well.

12 Q During the course of your professional work in this field
13 have you had occasion to become familiar with the types of
14 management practices and mitigation measures that you've
15 discussed here and that are projected to be employed at this
16 mine?

17 A Yes.

18 Q Have you had during the course of your career an opportunity
19 to review the -- or look at the actual use of such systems?
20 Restate the question. Have you had occasion to look or
21 evaluate the ability of these kinds of management decisions,
22 such as we're talking here, to achieve their desired purpose
23 with respect to controlling releases of acid rock drainage
24 and metals?

25 A Yes, that's been a part of a few studies. Yes.

1 MR. REICHEL: Your Honor, I believe there is a
2 sufficient foundation for this witness to answer the
3 question I posed.

4 MR. HAYNES: On the other hand, your Honor, we've
5 had testimony from Dr. Miller -- Dr. Glen Miller who is a
6 water resources engineer, water treatment engineer about the
7 efficacy or lack thereof of the water treatment system
8 that's proposed for this site, for this mine. We've had
9 testimony from consultants for Kennecott concerning the --
10 or the relative efficacy of those systems to treat the water
11 coming out of the mine. We've heard days of testimony about
12 that by people who have qualifications much different from
13 this witness. This witness may have qualifications as a
14 geochemist, but I haven't heard any qualifications that he
15 has expertise in how these water treatment systems work and
16 that's the systems I think counsel is referring to in asking
17 the question, on whether these systems will adequately
18 reasonably minimize the pollution that's going to come from
19 this mine. Fate and transport are one thing, but the
20 systems to treat the substances coming out of the mine is
21 quite a different thing. So I don't think the witness is
22 qualified to opine on this issue.

23 MR. REICHEL: Well, your Honor, if there was some
24 imprecision in my question I apologize, but it was not my
25 intent to focus this on the efficacy of the wastewater

1 treatment itself. I recognize in retrospect that that is
2 one of the mitigation measures, but the thrust of my
3 question was not directed to the engineering aspects of the
4 wastewater treatment, but rather to the practices including
5 adding limestone to the development rock -- first
6 characterizing the materials, adding limestone to them,
7 storing them in a lined facility with a leachate collection
8 system, a system to collect the -- any liquid that results
9 and conveying it to a wastewater treatment plant.
10 Similarly, the techniques of rapid reflooding and
11 monitoring. I believe this witness -- there's an ample
12 foundation for this witness to express his opinion, if he
13 has one, on those subjects.

14 MR. HAYNES: Well, again, your Honor, if we're
15 talking about whether the liner system for the TDRSA will
16 work, this witness hasn't been qualified to testify about
17 that. If the question is whether the management decisions
18 which include the treatment of the acid water that's going
19 to be generated by this mine is going to reasonably minimize
20 the pollution that's going to occur, whether counsel meant
21 that in his question or not, it's in there. And so we are
22 going far beyond the expertise of this witness to opine on
23 the geochemistry of the site and whether the tests that were
24 performed and that continue to be performed are adequate to
25 characterize the geochemistry of the site, which is what

1 this witness's expertise appears to be in.

2 MR. EGGAN: I would add, your Honor, we haven't
3 even identified what is meant by the term "management
4 decisions."

5 MR. REICHEL: I believe the prior testimony
6 specifically identified a series of measures that he was
7 referring to. But in the interest of moving this forward
8 let me just restate a slightly different question.

9 JUDGE PATTERSON: All right.

10 Q Dr. Eary, in your -- based upon your professional training
11 and experience, do you have an opinion as to whether the use
12 of the systems for the use of the limestone addition to
13 store development rock is a recognized technique in this
14 kind of application for minimizing or reducing the potential
15 for formation of acid rock drainage?

16 A Yes.

17 MR. HAYNES: Now I have a -- now I have an
18 objection to the form of the question, because counsel has
19 now asked a compound question: "Is the limestone going to
20 minimize or is it going to reduce the formation?" And so I
21 think counsel needs to break those questions into two parts;
22 or at least break up the question.

23 Q Dr. Eary, do you have an opinion as to whether or not the
24 use of limestone addition to stored development rock such as
25 this is a recognized technique for reducing the potential

1 for the stored rock to generate acid and leach metals?

2 A Yes, it's a standard way to do that.

3 Q Do you have an opinion as to whether the technique of
4 containing potentially acid-generating rock in a lined
5 facility with a leak detection and leachate collection
6 system is a recognized technique in the are for reducing the
7 potential for releases of acid rock drainage or metals into
8 the environment?

9 A Yes, I believe it is a standard engineering design for
10 minimizing or preventing leakage.

11 Q Do you have an opinion as to whether or not the technique of
12 rapidly reflooding mineworks after closure with water is or
13 is not a recognized technique within the industry for
14 minimizing the -- strike that -- for reducing the potential
15 for continued long-term acid formation and metals leaching?

16 A Yes, that is a standard approach based on the theory that
17 the exclusion of oxygen is a way to prevent sulfide
18 oxidation.

19 Q Dr. Eary, in terms of -- I'd like to turn now to related
20 subjects. You are aware and it's been alluded to that
21 testimony has been presented in this case from other
22 witnesses regarding an assessment of alternative assessment
23 of the -- excuse me -- a geochemical review of the Eagle
24 project mine permit application, specifically one done by
25 Stratus Consulting? Are you aware of that?

1 A Yes.

2 Q And have you at our request reviewed that review or
3 assessment and compared that to the geochemical work that
4 was undertaken by Geochimica here?

5 A Yes.

6 Q I'd like to turn to slide 19 now. Does this outline some
7 topics that you are prepared to discuss about the comparison
8 of the modeling framework developed by Stratus or Dr. Maest
9 to the geochemical review -- excuse me -- the geochemical
10 analysis that was provided in support of the mining permit
11 application?

12 MR. EGGAN: Your Honor, at this point I would like
13 to interpose an objection to this testimony. Again, this is
14 one of those issues that was not addressed in the recitation
15 that was offered for this witness either by the MDEQ or by
16 Kennecott. And so from our perspective this is yet another
17 example of information that we would have very much
18 benefitted from discovery on; and secondly, it is a matter
19 of surprising us with testimony. Now, I will note that Mr.
20 Reichel did provide an outline of this testimony to us and I
21 don't know if it was yesterday or the day before. Was it
22 Monday or Tuesday?

23 MR. HAYNES: Yesterday.

24 MR. EGGAN: Yesterday. And so I -- and I thanked
25 him for that and I do thank him for that. However, it was

1 not part of the recitation. It was not understood by us
2 that this witness would be offering this testimony and it
3 comes as a surprise to us.

4 MR. HAYNES: Join in the objection.

5 MR. REICHEL: Your Honor, if I may respond. Our
6 disclosure of witnesses did indicate that his expected
7 testimony would be review of geochemistry studies
8 characterizing the potential for acid rock drainage and
9 metal leaching in the materials that would be mined in the
10 Eagle project. This testimony -- it was clearly disclosed
11 that he was an -- proffered as an expert in geochemistry and
12 mineralogy. His testimony is within the scope of that
13 description and clearly, your Honor, is my way of rebuttal
14 to extensive testimony that was offered by the petitioners
15 in their case in chief. I don't think there's any
16 legitimate claim of surprise here.

17 MR. LEWIS: I agree with that, your Honor. Fairly
18 disclosed of course in the DEQ's witness list that Mr. Eary,
19 again, would be testifying as to -- it doesn't say just the
20 geochemistry studies submitted with the mine permit
21 application. It says "geochemistry studies." And at that
22 time we should keep in mind that the so-called public
23 comments had already been submitted to the DEQ; in fact
24 sometime before these lists were presented. So I think any
25 argument that there -- number one, that there wasn't some

1 kind of fair disclosure is disingenuous; and number two,
2 certainly I don't think it's a fair argument also to say
3 that they can bring Dr. Maest in here and criticize not only
4 Geochimica's work but by inference Mr. Eary's work and not
5 allow Mr. Eary to respond to that criticism.

6 MR. EGGAN: With respect to the recitation, your
7 Honor, having looked at the recitation the title of Dr.
8 Eary's report that was submitted on November 30th, 2006 was
9 entitled, "Review of Geochemistry Studies for the Kennecott
10 Eagle Project Permit Application." And so from that we
11 gleaned that his testimony in this matter was going to
12 relate to that report. The fact that he is now offering a
13 much broader perspective than the title of his report would
14 indicate really shouldn't auger against us; it should auger
15 against the DEQ. Again, what's going on here is new
16 information being provided to us again at the last minute in
17 an effort to make it impossible for us to really prepare for
18 a witness's cross-examination. That's our concern.

19 MR. REICHEL: Your Honor, with all due respect, I
20 represent to the court that this is not new information.
21 The testimony that we expect to offer from this witness does
22 not reflect some new study conducted by this witness. There
23 are no new data here. What he is prepared to discuss are
24 data that are already in the record that everyone understood
25 would be in the record, and to provide his expert review of

1 the analyses in question, and to -- in part to rebut
2 testimony offered by the petitioners.

3 JUDGE PATTERSON: I agree and I'll with Mr.
4 Reichel. This is proper rebuttal of testimony on the record
5 of, I assume, principally through Dr. Maest which was
6 presented by the petitioners. So I'll overrule the
7 objection.

8 MR. EGGAN: Thank you, your Honor.

9 JUDGE PATTERSON: But before we do that, can we
10 take a short break?

11 MR. REICHEL: Absolutely.

12 (Off the record)

13 Q Dr. Eary, before we took a break, we were starting onto a
14 different topic where I was going to ask you some questions
15 about your assessment of the geochemical review done by
16 Stratus Consulting where the principal author was Dr. Maest.
17 We have up on the screen slide 19. Does this slide identify
18 the principle areas in which you were comparing the modeling
19 framework used by Stratus with that used by Kennecott's
20 kinetic consultants?

21 A Yes. There's four main areas that I looked at, which are
22 listed here.

23 Q Okay. Could you please state what they are?

24 A The first one was the assumptions made about the types of
25 rock which would be stored in the TDRSA. The second was a

1 comparison of the selection of leachate data which was used
2 by Stratus and Kennecott in their modeling studies. Third
3 is the effects of limestone on the leachate chemistry from
4 the TDRSA. And fourth is the comparison of the results from
5 those two studies -- two modeling studies.

6 Q Okay. I'd like to ask you to turn now to the first of those
7 topics, the assumptions used in both analyses about the
8 TDRSA rock types.

9 MR. REICHEL: Could we go to slide 20, please?

10 Q Could you briefly summarize your comparison of the
11 assumptions that each -- were made in each study?

12 A In the Stratus model of the TDRSA, they included 5 percent
13 in that total as semi-massive sulfide ore. This would mean
14 that they would have to be -- Kennecott during its mining
15 operation would have had to have misplaced somewhere between
16 19,000 and 33,000 tons of ore grade material. That's based
17 on that maximum storage in the aboveground of 378 or 663
18 total. The Geochimica study assumes that there is no ore
19 placed in the TDRSA and that it's comprised entirely of
20 non-ore rocks which are the country and intrusive rocks, --

21 Q What is your -- go ahead. I'm sorry.

22 A -- which are not ore grade material.

23 Q What is your assessment of those differing assumptions?

24 A It seems unlikely to me that the miners would misplace this
25 amount of rock. There's no incentive to do that, because it

1 represents a lot, you know -- a large amount of money. And
2 secondarily, the ore is quite distinctive from the
3 development rock, either both the country rock and the
4 intrusives. The ore has sulfides in it which have a brassy
5 metallic appearance, which is distinctly different from
6 rocks which do not contain sulfide. So I think -- and also
7 the boundaries between ore and non-ore are described in the
8 geologic report as being quite distinct. So I think that
9 it's unlikely that there would be a misplacement of ore into
10 the TDRSA. The reason this is important is that including
11 the assumption of all of this semi-massive sulfide ore in
12 the model of the TDRSA by Stratus we -- the Stratus model
13 uses solution chemistries from those long-term leaching
14 tests which are strongly acidic. So that causes the results
15 to be substantially different from the Geochimica model,
16 because of the inclusion of this assumed amount of rock
17 type; that is, the ore material.

18 Q And in your professional opinion, is that assumption made by
19 Stratus a reasonable one?

20 A It does not seem reasonable to me for this type of ore
21 deposit.

22 Q Let's go to the next sub-topic, the "Selection of Leachate
23 Data and Effects on Water Quality Predictions."

24 MR. REICHEL: Can we go to slide 21, please?

25 Q Now, in this -- you testified previously that the process

1 used in the geochemical analysis by Geochimica involved a
2 question of using certain screening tests to then identify
3 what types of information to use in the kinetic test data or
4 kinetic test; is that correct?

5 A That's correct.

6 Q Could you explain or compare the approaches taken by Stratus
7 on the one hand and Geochimica on the other with respect to
8 which data -- leachate data they included in their
9 respective analyses?

10 A The purpose of these modeling studies, both the Stratus and
11 the Geochimica studies, were to predict the composition of
12 the leachates from the TDRSA. Those predictions are based
13 on the long-term kinetic test data. Now, the approach taken
14 by Stratus was to select leachate data from a sample of in
15 particular of country rock, which contained 1.4 percent
16 sulfide. If we look at the distribution of data for country
17 rocks, this represents 10 percent of the rocks that we would
18 expect to be in a TDRSA. The other 90 percent of samples
19 which have less than 1.4 percent were not included in the
20 Stratus modeling approach, even though there are test data
21 for those types of rocks.

22 Similarly for the intrusives, Stratus used one
23 data from one test containing 2.4 percent sulfide or
24 substantially more than median of 1.56. Data from all of
25 the other tests which have lower sulfide contents, data from

1 the long-term tests, from all of those other experimental
2 studies were not used in the Stratus model. In contrast,
3 Geochimica used the averages of all of the testing data for
4 both the country rocks and the intrusive rocks from samples
5 which contained the range of sulfide contents that we would
6 expect to be in the TDRSA. The next slide has a little bit
7 better detail on this point.

8 MR. REICHEL: Could we go to slide 22, please?

9 Q Could you explain, Dr. Eary, how you put this slide together
10 or how it relates to any previous graphs that are already
11 part of the record?

12 A The background of this slide, this bar chart with the
13 vertical it looks like sort of a gray-blue bars, this is a
14 plot of the frequency distribution of different samples in
15 terms of the sulfide content which is in this case called ST
16 class. This background chart is from the phase two Appendix
17 D-2 Geochimica report, and I believe it's page 24. Now, on
18 top of this chart I have overlain these green bars
19 reflecting the sulfide contents of the samples of country
20 rock which were used in long-term leaching tests to
21 illustrate the differences between the two approaches for
22 selecting data for the models.

23 Q Okay. And what was the approach or what have you added to
24 this slide to summarize or highlight the approach taken by
25 Kennecott's consultant?

1 A The parts that I've added are these green vertical bars
2 which represent the sulfide contents of all of the kinetic
3 tests that were done on country rocks. I've also put these
4 brackets indicating the classifications which -- excuse
5 me -- Geochimica used to classify the different types of
6 country rock. They classified them as either low sulfur
7 with less than 1 percent or high sulfur with greater than 1
8 percent. In their modeling selection of data, they took the
9 average of the compositions of all of the low sulfide tests
10 and then they also averaged together four samples of high
11 sulfide rock, which we used in the long-term kinetic test.
12 So they have seven sets of data from the long-term kinetic
13 tests, which is all of the kinetic tests for the country
14 rocks. They, as I said, have an average for high sulfur and
15 an average for low sulfur, and then they averaged those two
16 averages to come up with a final solution composition. So
17 the Kennecott selection of data is based on seven tests
18 covering the bulk of the sulfide contents of the country
19 rocks. The difference is that the Stratus test selected one
20 sample shown by this vertical red line which contained that
21 2.- -- excuse me -- 1.4 percent sulfide content.

22 Q Based upon this comparison of the approaches taken by
23 Geochimica on the one hand, Stratus on the other, what
24 effect would this data selection or differing approaches to
25 selecting data to use in the modeling projections have?

1 A By selecting only one data, one set of data from this column
2 leaching test, the leachate has been -- that's used by
3 Stratus ignores all of the other compositions that would
4 actually be produced in the TDRSA from country rock
5 leaching. So this biases the model to use only one set of
6 data. And because this particular sample had the highest
7 sulfide content, the results are biased to be more acidic
8 and higher metal content than if the entire set had been
9 used.

10 Q And these two approaches, which, in your professional
11 opinion, provides -- in which of these two approaches which
12 are better representative of the data as a whole?

13 A I think Geochimica's approach which considers all of the
14 data is a better representation of what you would expect to
15 be for the leachate, because their samples cover the vast
16 majority of the rocks that we would expect to be in the
17 TDRSA in terms of sulfide content, which is a major control
18 of what the leachate composition would be expected to be.

19 Q That is, the predictions of each model?

20 A Yes.

21 Q Okay. I think you may have touched on this.

22 MR. REICHEL: Could we go to slide 23, please?

23 Q Could you explain what you've stated here?

24 A This is what we just talked about. This was my assessment.
25 Geochimica used all of the relevant test data. And

1 remembering that the kinetic tests are designed to represent
2 the rock leaching characteristics, and so samples are used
3 in those tests which span its level of variability.
4 Geochimica used all of that data and I believe that that
5 gives a more thorough representation of all of the leaching
6 characteristics of all rock types and sulfide contents that
7 we would expect to be in the TDRSA. The net effect of that
8 on the modeling results is that the Stratus model produces
9 only results based on one leaching test, and it's a leaching
10 test which represents only 10 percent of the rocks --
11 country rocks in the TDRSA, which I don't think is a
12 representation of what we would expect to have and is not
13 supported by considering all of the test data available.

14 Q Dr. Eary, I'd like to turn now to another topic where you
15 indicated you compared the two modeling efforts, and that is
16 with respect to the effects of limestone.

17 MR. REICHEL: Can we go to slide 24, please?

18 Q Could you summarize here your comparison of the approaches
19 taken by the two documents?

20 A The Stratus model for the TDRSA did not include the acid
21 neutralizing effect of limestone in its calculations. This
22 contradicts what is actually stated in some of the guidance
23 documents, in particular Maest, et al, 2005. One of the
24 documents I referred to earlier, "Predicting Water Quality
25 at Hard Rock Mines: Methods and Models, Uncertainties and

1 State-of-the-Art," which indicates clearly at this place and
2 I think one other part of the report that the efficacy of
3 the mitigation measures should also be tested using
4 predictive models and later confirmed with active
5 monitoring. What this means to me is that the mitigation
6 measure of adding limestone should be considered in the
7 modeling approach in terms of what its effect would be on
8 the predicted water chemistry.

9 Q And again, Dr. Maest and Stratus did not do so here?

10 A No. They did not consider this within their model. The
11 Geochimica model did include this process, the reactions
12 with limestone in its water quality model. And this helps
13 greatly to assess the effect of that sort of mitigation.

14 Q And so how would you summarize your overall assessment of
15 the comparison of these two approaches?

16 MR. REICHEL: Could we go to slide 25, please?

17 A As outlined in the technical guidance documents that I
18 looked at, the Geochimica model followed their
19 recommendations. In contrast, the Stratus model represented
20 only a small part of what we would expect to be in the TDRSA
21 in terms of country rocks. And it ignores a known
22 geochemical effect of limestone for mitigating acid
23 generation and metal leaching.

24 Q I'd like to turn now to your comparison of the "Water
25 Chemistry Model Results" predicted by Stratus and

1 Geochimica.

2 MR. REICHEL: Could we go to slide 26, please?

3 Q Could you, Dr. Eary, outline some of the points that you've
4 noted in comparing the model results from Stratus with those
5 from Geochimica?

6 A In tables three and four of the Stratus report, they provide
7 the results of their modeling effort. One of the -- these
8 points summarize my assessment of those results, and these
9 are standard ways to assess a water quality prediction.

10 First point is that the Stratus compositions were not
11 complete. They had no pH, which is one of the primary
12 indicators of acidity or not. There are no major cations.
13 By major cations I refer to calcium, magnesium, sodium,
14 potassium, key components of any water quality composition.
15 Secondarily, the effects of solution speciation and mineral
16 equilibria are not considered. By this I mean known
17 processes of reactions between minerals, water and carbon
18 dioxide in the air. These are known to effect water
19 quality, but they were not included in the Stratus model.
20 The third point is the Stratus results, when you look at the
21 composition and compare the sum of the positively charged
22 components of solution to the negatively charged components
23 and solution, they differ by substantial amounts. And this
24 is true for both the TDRSA solution and also the end of
25 mining solution compositions.

1 Q And why should -- why does that matter?

2 A Looking at the charge balance is a standard way to assess
3 the validity of a water quality and water chemistry. By
4 definition, for reasons of thermodynamics and just by common
5 sense, a solution could not have a positive or a negative
6 charge. So the sum of the positively charged species have
7 to equal the sum of the negatively charged species. You
8 could expect there to be some small difference in those
9 values like when you get it back from the laboratory, but
10 generally we want to see those less than 10 percent. If
11 they're greater than 10 percent, that means that the model
12 has something wrong either in its inputs or something wrong
13 in its calculation. Because it either has too many
14 positively charged species in solution or too many engine,
15 you know, one or the other. There's something missing. So
16 this is a standard way to determine if a water composition
17 is valid and chemically possible.

18 Q In other words, from a chemical standpoint, if you looked at
19 the projections of the Stratus model, could the solution
20 predicted by that model be expected to actually exist?

21 A No.

22 Q Now, you indicated earlier that there is some recognition
23 that calculations of this kind with the positive and
24 negative may not always be completely even; is that correct?
25 To your knowledge, are there any recognized standards in the

1 literature for what a goal in terms of achieving this
2 charged balance -- a reasonable goal would be?

3 A The general thought is about 10 percent or less. Sometimes
4 maybe up to 15 percent if it's a concentrated solution, but
5 generally less than 10 percent is the ideal. At that level,
6 we can expect there to be some imprecision between different
7 parts of the -- or different components of the water
8 chemistry which probably don't make a big difference to its
9 overall composition. In other words, we're not missing too
10 much. If it starts to get greater than that, then we have
11 to question the model and the model that's producing those
12 types of results. And generally the procedure then is to go
13 back to the model and try to figure out what part needs to
14 be corrected.

15 Q And again, in this issue of sort of a standard or frame of
16 reference as a goal, 10 to 15 percent, can you provide a
17 citation to literature where that's reflected?

18 A Yes. Actually, I listed one down here. This is from Alpers
19 and Nordstrom 1999, geochemical modeling of water-rock
20 interactions in mining environments. Alpers and Nordstrom's
21 are scientists with the U.S. Geological Survey. And they
22 are leaders in the general field of geochemical modeling.

23 Q How would you -- have you compared the approach on this
24 water chemistry of the model results performed by Stratus
25 versus those of Geochimica?

1 A Yes.

2 MR. REICHEL: Could we go to the next slide,
3 please?

4 Q How does that compare -- how does the water chemistry
5 results predicted by Geochimica compare to those of Stratus?

6 A The Geochimica approach included pH. They included these
7 known processes of solution speciation and mineral
8 equilibria, which I referred to. These are the known
9 reactions between minerals and water and carbon dioxide.
10 When we look at its results, the charge imbalances are 2
11 percent for the TDRSA, which is quite good, 13 percent for
12 the end of mining water, slightly higher than the 10 percent
13 ideal, but not tremendously out of bounds for what we might
14 expect. Overall assessment based when we compare the
15 Stratus to the Geochimica results from their models, the key
16 point is that the Stratus model produces a water chemistry
17 which is incomplete. It's missing large parts of its
18 probable chemistry composition and produces an invalid
19 chemical -- invalid chemistry. And that refers to the
20 charge imbalance. Now, when you see those sorts of things,
21 it's extremely difficult to interpret how well that model
22 could actually do a prediction, because we know there's
23 something wrong with the result. And that's what I meant
24 here by difficult to interpret the validity of its inputs
25 and its calculation methods I think have to be called into

1 question.

2 Q And did you prepare a slide summarizing your overall
3 comparison to modeling efforts by Stratus and Geochimica?

4 A Yes.

5 MR. REICHEL: Could we go to slide 28, please?

6 Q How would you sum up your opinions or assessment of the two
7 competing approaches?

8 A Well, these -- this summary is directed at the major points
9 that were in the first part of this presentation. The
10 Stratus model includes incorrect assumptions about the rock
11 types that will be stored in the TDRSA by assuming that
12 there's some amount, a fairly large amount, of ore that
13 would be misplaced in the TDRSA. In contrast, Geochimica
14 included only non-ore rock types in the TDRSA, which I think
15 is the correct approach. The Stratus model used only a
16 selected subset of the leaching data and ignored most of the
17 leaching data. And it produced an incomplete and invalid
18 water chemistry as we talked about in the previous slide.
19 In contrast, the Geochimica model included leaching data for
20 all of the sulfide contents for both country rocks and
21 intrusives. In other words, all of the long-term kinetic
22 tests were used. It included some known processes of
23 mineral water reactions, including the reaction with
24 limestone and also the solution speciation, which is the
25 dissolution of carbon dioxide into water. And it produced a

1 complete invalid water chemistries in terms of looking at
2 its charge balance and overall chemical composition.

3 Q So in summary, which of the two modeling prediction efforts
4 do you believe is more reliable and defensive?

5 A I believe the Geochimica model is more reliable based on its
6 approach, its input data and its results.

7 MR. REICHEL: Your Honor, at this time I'd like to
8 move for the admission of some exhibits. The first would be
9 Respondent's Proposed Exhibits 48 and 49, which were the
10 communications by Dr. Eary in April of 2006 where he
11 identified some additional requests for clarification.

12 MR. EGGAN: No objection, Your Honor.

13 MR. HAYNES: No objection.

14 MR. LEWIS: No objection.

15 JUDGE PATTERSON: All right. No objection, those
16 would be entered.

17 (Respondent's Exhibits 48 and 49 received)

18 MR. REICHEL: Next, Your Honor, I'd move for
19 admission of Respondent's Proposed Exhibit 76, which was --
20 I'm sorry. I did it again. Respondent's Exhibit Number 70,
21 which included the attachment supplemental information
22 provided by Kennecott to the information request made by the
23 DEQ as it relates to the questions; that is, questions two
24 through 21; in Exhibit 67.

25 MR. HAYNES: Your Honor, I object to the admission

1 of this exhibit through this witness. The attachment is the
2 testing program samples for phase one and phase two prepared
3 by Geochimica, not prepared by this witness, prepared by
4 Geochimica for Golder Associates. It's 207 pages long, 207
5 pages of tables of data. And the data were not prepared by
6 this witness. They're not compiled by this witness, were
7 not -- the tables weren't prepared by the witness. So I
8 don't think there's been a proper foundation laid for this
9 exhibit being admitted through this witness.

10 MR. REICHEL: Your Honor, as I think about it, it
11 is possible that I don't need to offer this. I believe this
12 exhibit with a different title may already be in evidence
13 through Kennecott's witnesses. So I'll just move on from
14 there.

15 JUDGE PATTERSON: Okay.

16 MR. REICHEL: I would move for admission of --

17 MR. EGGAN: Can we just clarify what just happened
18 in terms of that Exhibit 70? Is it being withdrawn or --

19 MR. REICHEL: Well, I'm withdrawn my proffer of
20 70.

21 MR. EGGAN: Because you think it's admitted as a
22 different exhibit?

23 MR. REICHEL: I believe it is.

24 MR. EGGAN: Okay.

25 MR. REICHEL: I'm not --

1 MR. LEWIS: I think that's identified as
2 Attachment 1, is it not?

3 MR. REICHEL: Yes.

4 MR. LEWIS: And I believe that is, according to my
5 records, admitted as Intervenor Number 18 just for
6 reference, Counsel.

7 MR. HAYNES: Right. And I think it may have been
8 admitted only for the limited purposes of showing that it
9 was filed with the DEQ and not for its substance.

10 MR. LEWIS: No, I don't believe that's true. I
11 think that was offered and admitted through Mr. Logdston
12 separately.

13 MR. REICHEL: Yeah, I believe -- I believe that's
14 correct. In any event, --

15 MR. LEWIS: In any event.

16 MR. REICHEL: -- to answer Mr. Egan's question, I
17 am now withdrawing my proffer of Respondent's 70.

18 MR. EGGAN: Thank you.

19 JUDGE PATTERSON: Okay.

20 MR. REICHEL: I would now move for admission of
21 Respondent's Exhibit 76, which is the November 2006 report
22 prepared by this witness.

23 MR. HAYNES: No objection.

24 MR. EGGAN: No objection.

25 MR. LEWIS: No objection.

1 JUDGE PATTERSON: Okay. No objection, that will
2 be entered.

3 (Respondent's Exhibit 76 received)

4 MR. REICHEL: Finally, I move for admission solely
5 for demonstrative purposes of Respondent's Exhibit 214,
6 which is a series of slides that have been the subject -- or
7 about which Dr. Eary has just testified.

8 MR. EGGAN: I'll restate the objection I've had to
9 demonstrative evidence or documents being offered for this
10 purpose.

11 JUDGE PATTERSON: Okay.

12 MR. HAYNES: And I'll join that objection.

13 JUDGE PATTERSON: And I'll make the same ruling I
14 did before.

15 (Respondent's Exhibits 214 received)

16 MR. REICHEL: And with that, I will pass the
17 witness.

18 JUDGE PATTERSON: Okay. Mr. Lewis, any direct?

19 MR. LEWIS: I will defer. Thank you, Your Honor.

20 JUDGE PATTERSON: Okay.

21 MR. EGGAN: Your Honor, on cross I think I'm going
22 to lead off followed by Mr. Haynes.

23 JUDGE PATTERSON: Okay.

24 MR. EGGAN: Doctor, my name is Eric Egan, and I
25 represent some of the Petitioners in this matter primarily

1 on groundwater-related issues. But I do want to ask you
2 some questions about your analysis in this case, even though
3 some of them may relate to Part 632 issues.

4 CROSS-EXAMINATION

5 BY MR. EGGAN:

6 Q As we begin, I would like to ask you about the consultant
7 work that you've done in the past. You've indicated in your
8 outline and among your resume that you have worked for
9 various companies on industrial projects in the past. What
10 I'm curious about is, have any of those matters involved
11 litigation?

12 A Yes.

13 Q Have you testified previously?

14 A Yes.

15 Q And in the cases that you've testified on, in how many of
16 those, if you can give us some rough percentage, have you
17 testified on behalf of the industry client versus an
18 enforcement agency?

19 A They were -- I've testified once before, and it was for a
20 mining company.

21 Q It was for a mining company?

22 A Yes. I'm sorry. Not industrial.

23 Q And what about the consultant services that you've provided
24 in the past? Have they been primarily for -- and we'll
25 break it -- we'll break it into two chunks, industrial and

1 then we'll go to mining. But in the industrial matters that
2 you have consulted on, have they been primarily for industry
3 or have they been for governmental entities?

4 A It's been a combination. it's been primarily industrial
5 clients. If you put acid rain on the industrial side, then
6 that was for a governmental agencies.

7 Q Okay. But if we leave out the acid rain, then it's probably
8 primarily for industrial clients?

9 A Yes.

10 Q And does that relate to pollution that has occurred or
11 allegations that there has been an impact on the
12 environment?

13 A That was always part of it, yes.

14 Q Okay. And in the majority of those matters, you have
15 provided consultant services to the industrial clients
16 versus the government agency or the party impacted?

17 A That's true. I guess the exceptions to that was the work
18 that I've done for the U.S. EPA for the nuclear waste site
19 that I referred to early on.

20 Q Okay. Now, let's talk a little bit about the mine
21 experience that you had. How much consultancy -- how much
22 consultant work have you done in your career in mining
23 matters? Was it 30? Is that what you said? Some 30
24 matters?

25 A About 30 different projects, yes.

1 Q And of that 30, how many of those would have been on behalf
2 of the mining company?

3 A All of them.

4 Q Have you in the past worked for or done any consultant
5 services for any Kennecott-related company?

6 A I currently have one project with Kennecott.

7 Q So in addition to this one?

8 A Yes. Well, that's one's with DEQ.

9 Q Good point. Good point. This one is for DEQ, but you also
10 have currently ongoing another project for Kennecott?

11 A Yes.

12 Q And what is that project?

13 A It is a modeling project for a Kennecott Utah Copper for
14 their tailing system at their Bingham Mine in Utah. This
15 project started about one year ago, shortly after I joined
16 MWH.

17 Q And was that an issue that you discussed or disclosed to the
18 DEQ at the time you undertook that assignment, that
19 consultancy?

20 A At the time that I took the --

21 Q At the time you undertook the consultancy with Kennecott
22 Utah, did you disclose that to the Michigan Department of
23 Environmental Quality?

24 A Yes.

25 Q Okay. And did you receive an opinion from them as to

1 whether or not there could be a potential conflict of
2 interest?

3 A They indicated they did not think so.

4 Q So no one raised a concern that at the same time you were
5 analyzing this matter for the MDEQ involving the Kennecott
6 Eagle Mine project, no one raised a concern that you were at
7 the same time being paid by Kennecott on another project?

8 A The work I did for the DEQ preceded this other Kennecott
9 work.

10 Q Yeah.

11 A They did not -- they did not coincide.

12 Q I understand that. But you are here today and you are
13 testifying on behalf of the MDEQ in a matter that you are to
14 be independent on; am I right?

15 A I am testifying for DEQ, yes.

16 Q Yes. In a matter in which the MDEQ needs to at least
17 evidence some form of independence; am I right?

18 A I believe so.

19 Q Okay. And yet you are presently under contract or involved
20 in a consultancy with another Kennecott project?

21 A Yes; Kennecott Utah.

22 Q And that issue was never -- there was never a conflict of
23 interest question raised about that by anyone at MDEQ?

24 A No.

25 Q No one said to you that may be an issue?

1 A When I raised it, they said they told me they did not
2 believe that was a problem because of the separation in time
3 and different companies.

4 Q How about MHW Americas, Inc.? Does that entity have a
5 relationship in any other matter with Kennecott?

6 A I think we have one other project scheduled to start later
7 this year. I'm sorry. Actually it's with Rio Tinto and not
8 Kennecott.

9 Q Okay. But you and I understand that Rio Tinto is the --

10 A Yes, the owner; yes.

11 Q -- parent company of Kennecott Eagle?

12 A Yes; yes. That's why I lumped them together in my head,
13 yes.

14 Q I understand. And what is that project to be?

15 A That is a baseline study for a proposed mining project in
16 Arizona.

17 Q Was that issue disclosed to the MDEQ?

18 A No. I'm not involved in that project.

19 Q Okay. But the company that pays your salary is?

20 A Yes.

21 Q Do you have a process at your company for identifying
22 potential conflicts of interest?

23 A We do.

24 Q And was the -- was your relationship with MDEQ on this
25 project run through that conflict of interest check process?

1 A It was in part. The fact was is that I had done the work
2 for DEQ when I worked for MFG prior to starting this other
3 work with Kennecott. So I had already been involved with
4 the Eagle project review prior to doing this other work. So
5 I was, as I understood it, involved no matter what as to any
6 potential conflict of interest might have been.

7 Q You have continued to have a contractual relationship with
8 the State of Michigan since the beginning of your
9 consultancy with them, I take it? You've signed a contract
10 with them?

11 A I signed a contract specifically for this hearing.

12 Q You signed a contract I believe specifically for your
13 consultancy to prepare the report and analyze the things
14 that you analyzed, but it continued on until the time of
15 this hearing; am I right?

16 A No. Actually, the contracts ended. The original one that I
17 had with MFG ended back when I left or sometime before that
18 when the work for that report preparation was completed.
19 The work that I have done for this hearing was initiated I
20 believe in April of this year.

21 Q So you have a separate contract now with the MDEQ?

22 A Yes; two contracts.

23 Q You have two contracts with MDEQ now?

24 A Yes.

25 Q What is the other one for?

1 A One was for preparation and testimony here. The second one
2 was for the preparation of these slide presentation
3 materials. I was told -- I asked if I could do a change
4 request on the original contract. They said, no, it was
5 actually more expeditious to have a separate contract.

6 Q And when you engaged in those contracts, was the issue
7 re-raised about either the relationship that you have
8 working as a consultant to Kennecott, was it raised in that
9 context?

10 A Yes.

11 Q Okay. Was the relationship that your company has, MWH, with
12 Kennecott raised at the time that you signed those
13 contracts?

14 A Yes.

15 Q Who did you receive an opinion from?

16 A I think I talked to originally to Joe Maki and then
17 secondarily with Mr. Reichel.

18 Q And both of them offered the opinion that there is no
19 conflict of interest?

20 A I don't remember them saying that there was no conflict of
21 interest. But basically since I had prepared the report, I
22 was pretty much drawn into the procedure no matter what.

23 Q Well, it was apparently too late for them to go back and get
24 somebody else. That's the problem; right?

25 A I don't know.

1 Q Okay. Your outline, in spite of -- in spite of being fairly
2 detailed, offers no reference to the matter that you
3 presently have pending with Kennecott, does it?

4 A The current project, you mean?

5 Q The current project.

6 A No.

7 Q In the mine projects that you've worked on -- and I think
8 you said 30, and I apologize if I've asked this question
9 previously. But in the mine projects that you have worked
10 on, how many of those have been on behalf of the mine
11 company?

12 A I think all of them.

13 Q I want to talk to you for a minute now about the rock at the
14 Kennecott site. We can agree, can't we, that the rock that
15 comes from the mine, all of it, whether it is ore or whether
16 it's going to the TDRSA, all of it has to be managed as
17 special handling?

18 A All the rock has some potential to create acid, which I
19 think puts it into this special handling category.

20 Q Okay. So the answer to my question would be that all of the
21 rock has to be handled as special handling, doesn't it?

22 A As it's termed in the reports, yes, in the mine plan.

23 Q Okay. And the reason that we're doing this is to manage the
24 risk of acid rock drainage and metals leaching; am I right?

25 A Yes.

1 Q And even the waste rock, the rock that's going to go to the
2 TDRSA, even that has to be managed as special handling,
3 doesn't it?

4 A Yes. It goes into a special facility.

5 Q Okay. And again, this is to manage acid rock drainage and
6 metals leaching; correct?

7 A The potential for those to happen.

8 Q In fact, Geochimica -- and I'm talking about Mr. Logdston
9 now -- found that in two independent lines of testing -- and
10 this is his testing -- 75 percent of all the rock tested has
11 to be -- has to be handled as special handling waste rock;
12 am I right?

13 A 75 percent of the rock has the potential to produce acid, so
14 it falls into that category, yes.

15 Q Has to be managed as special handling waste rock in order to
16 manage the risk of acid rock drainage and metals leaching;
17 am I right?

18 A Yes; yes.

19 Q Okay. Now, as I listened to your testimony today, you
20 offered some opinions related to acid rock drainage
21 potential in the TDRSA and the neutralization that could
22 come from the addition of limestone. I heard that?

23 A Yes.

24 Q That's what you talked about today. Now, we can agree
25 really that -- and a lot of your testimony focused on acid

1 rock drainage, but there really is another issue here. In
2 addition to acid rock drainage, we also have a concern about
3 metals leaching. It's really a two-prong problem, isn't it?

4 A They're generally related.

5 Q They are related, but really it's two environmental problems
6 we're talking about. We're talking about acid rock drainage
7 as a critical issue; am I right?

8 A Yes.

9 Q And metals leaching; that's a separate concern, isn't it,
10 when we're talking about the constituents that could
11 potentially generate from the rock going into the TDRSA?

12 A For these particular rocks, no. The metal leaching is
13 really related directly to the acid rock drainage.

14 Q So your contention, your testimony would be, that really
15 they're not separate issues; that they're just one
16 environmental problem in a single -- in a single issue that
17 has to be managed as just a single issue?

18 A Yes. Because the potential for acid leads to the metal
19 leaching.

20 Q Okay. Now, let's talk for a minute about the limestone
21 treatment that you've discussed. You're familiar with the
22 concept of armoring, aren't you?

23 A Yes.

24 Q Armoring in the context of the TDRSA and these particular
25 rocks, armoring will limit somewhat the effectiveness of the

1 limestone addition to -- of the solution you offer, which is
2 limestone?

3 A Not in this system, no.

4 Q Not in this system?

5 A No.

6 Q Explain why.

7 A Armoring most commonly occurs when the acid drainage is
8 generated in one location and the limestone is in a
9 downstream location. Probably the best example would be a
10 drainage from a mine adit, which is acidic, and a limestone
11 bed or drain is put someplace downstream to intercept it.
12 At the point where the acid hits the limestone, you could
13 have precipitation of minerals which armor the limestone.
14 It's not an immediate effect, but it can take place over
15 time. So in this case the TDRSA has the limestone in the
16 same place as the rocks which have the potential to have
17 acid drainage; in other words, they're not displaced in time
18 and space. The second point is that when armoring occurs it
19 effects both the sulfide and the limestone itself; in other
20 words, the armoring can occur on the sulfide mineral faces
21 as well as the limestone, so it's something of a
22 counteracting effect on the armoring. And third, if we look
23 at the long-term kinetic tests on the rocks which contain
24 sulfide and yet produce alkalinity and neutral pH's for
25 extended periods of time, the fact that we get positive and

1 large amounts of alkalinity being generated indicate that
2 armoring is not effecting the efficacy of the neutralization
3 process; in other words, the test data do not indicate that
4 armoring occurs in these TDRSA-type rocks.

5 Q All right. I do want to ask you about that testing in a
6 minute. Let me ask it a different way. We know from the
7 testing that Geochimica did that limestone won't decrease
8 the concentrations of some contaminants; am I right?

9 A That's true.

10 Q Okay. For example, did you see the -- did you see in Tables
11 2 and 3 of the Geochimica testing there were a couple of
12 tables where they compared the development rock stockpile
13 and the addition of lyne versus no -- versus no addition of
14 lyne? Did you see that? I wonder if I showed these to you
15 it might help you.

16 A I'm sorry. You said lyne or limestone?

17 Q Limestone. Yeah, limestone.

18 A Yes. Okay. I think I know what you --

19 Q Do you recall those questions? Let's make sure that we're
20 talking about the right thing.

21 A I think I know what you're referring to.

22 MR. EGGAN: What I'm showing the witness is from
23 page five of 11 of the November 7 of '05 report prepared by
24 Geochimica, five of 11 and eight of 11.

25 Q And the first page, five of 11, is titled "Development Rock

1 Stockpile Model Results." And you've seen this?

2 A Yes.

3 Q And this shows Results with no limestone addition; am I

4 right?

5 A That's correct.

6 Q And then there was some testing done where they actually

7 added limestone to see what the impact would be on the

8 constituents; am I right?

9 A Yes.

10 Q Okay. And if you want, you can have the charts but, as I

11 look at the charts, it shows us that there was the

12 additional of lyme had actually -- had no effect on

13 potassium; is that right?

14 A Yes.

15 Q Correct?

16 A Yes.

17 Q Just say correct or not correct. Correct?

18 A Correct.

19 Q Okay. And likewise, there was no effect on sulfate;

20 correct?

21 A Correct.

22 Q And there was no effect on aluminum; correct?

23 A Well, aluminum is so low that it doesn't really matter.

24 Q Okay. We'll skip aluminum. Antimony; no effect on

25 antimony?

1 A Same thing; it's detection level.

2 Q Okay. Arsenic; no effect on the level of arsenic; correct?

3 A Correct.

4 Q No effect on barium; correct?

5 A Yeah. Once again, it's so low it doesn't matter.

6 Q Well, that's your opinion. But I guess from my perspective

7 I'm just asking you if there was any impact on the addition

8 of limestone in the amount of barium?

9 A No. It's so low it really doesn't make much difference in

10 this case.

11 Q Boron?

12 A No. Boron would not be effected.

13 Q Okay. Cadmium?

14 A Again, these are detection levels. They don't really

15 matter.

16 Q Okay. Cobalt?

17 A Again, so low it really -- they're really not high enough to

18 have a chemical process effected.

19 Q Well, then why are they on the chart?

20 A Because this is the way to come up with a complete water

21 chemistry.

22 Q I see. Lead, no impact; correct?

23 A Yeah. Lead, once again, we just don't see much leaching of

24 lead out of these rocks.

25 Q No impact by the additional of limestone?

1 A No.

2 Q Manganese, no impact from the addition of limestone?

3 A It looks like there's a ten-fold increase -- or decrease.

4 Q In manganese?

5 A Yeah.

6 Q Oops. You're right. My mistake. Nickel?

7 A No change there.

8 Q This is a -- this is a nickel mine; no impact on nickel with
9 the addition of limestone?

10 A Correct.

11 Q Selenium, same thing?

12 A Once again, yeah, it's really low.

13 Q It's very low but, again, no change based on the addition of
14 limestone?

15 A Correct.

16 Q Okay.

17 MR. EGGAN: Barb, I wonder if you could project
18 slide number 20 for me?

19 Q This is the slide that talks about how -- well, I'm looking
20 at the assessment of assumptions, "The mine plan does not
21 include placing ore in the TDRSA." Do you see that
22 assessment of assumptions and the bullet point there?

23 A Yes.

24 Q My question is, let's talk about how ore ends up being taken
25 off to a processing plant as ore versus how it ends up going

1 into the TDRSA. How is it that that process is actually
2 accomplished in a mine like this?

3 A Well, rock coming from the mine is either termed to ore or
4 non-ore, and it goes its appropriate places then.

5 Q I think that's the essence of my question. How is it -- is
6 there some sort of scientific test that occurs with all of
7 the rock to determine what is ore and what is waste rock?

8 A Depends on the mine. In some cases there is.

9 Q Well, let's talk about the mine that you're here testifying
10 about. Do you know what the plan is at Kennecott at this
11 particular mine?

12 A The plan that I've seen or the parts that I've read about
13 indicate that it is done -- it'll probably be done based
14 stope by stope visually.

15 Q So what we have is a human standing there pointing at that
16 which is ore versus that which is waste; right?

17 A Is that a question?

18 Q Yes, it is. Is that what it is is we have a human standing
19 there eyeballing it and deciding what is ore and what is
20 waste?

21 A Yes. The mine geologist would have that.

22 Q Well, is there going to be a mine geologist standing as
23 every stope is blown out and pointing to every single rock
24 and saying, "This is ore and this is waste"?

25 A I don't know if they would be or not.

1 Q You don't know whether it's a geologist or not? It may be?

2 A Usually it would be a geologist that would mark out the ore
3 zones prior to blasting.

4 Q Okay. But when the rock falls down into a big pile, who
5 decides that?

6 A In this case it would be whoever's mining it.

7 Q Okay. It could be --

8 A The mine --

9 Q It could be one of the mining workers who's down there and
10 he's got a -- what does he use? Does he use a hand shovel
11 or does he use some other mechanical means?

12 A No. It would be equipment, I mean, machinery.

13 Q Probably something like a pay loader?

14 A Could be, yeah, one of the low profile ones.

15 Q Okay. So just to make sure you and I understand, this is
16 not a surgical process, is it?

17 A I think in this case it probably is close to that because of
18 the difference in the appearance of the ore versus non-ore.

19 Q I see. So we're going to have a human being standing there
20 eyeballing it. We're going to have a pay loader picking it
21 up. And you call that -- you call that a surgical process?

22 A I think in terms of extracting as much resource as possible,
23 they will get as much ore as they can. And if they have --

24 Q Oh, it's certainly in their economic interest to take --

25 A And if they err in one direction or another, --

1 Q Sir --

2 A -- they will probably collect more non-ore than ore.

3 Q Just to make sure you and I are on the same page, I'm sure

4 that it is in the mine's economic interest to collect as

5 much ore as possible. That's how they make their money;

6 right?

7 A Yes.

8 Q But we're not going to -- you're not going to sit here and

9 tell the hearing officer that this is some sort of precise

10 surgical process that is going to mean that some varying

11 grades of ore or some high sulfate material isn't going

12 to -- sulfide material isn't going to end up in the TDRSA,

13 are you?

14 A We expect based on the rock data --

15 Q When you say "we," do you mean you and Kennecott, or what do

16 you mean "we"?

17 A I'm talking in general.

18 Q I see.

19 A Based on -- I'll say, in my opinion, looking at the sulfide

20 contents of the rock, there will be probably 10 percent of

21 the country rock, which has a sulfide percent that is -- I

22 don't know -- 1 ½ to about 2 ½ percent that's non-ore

23 material. For the peridotite, there may be some non-ore

24 grades that go up to a few percent, sulfide as well. I

25 think when, if there is any direction in terms of mining,

1 that's likely that there is some non-ore that goes to the
2 ore side rather than the other way around in order to make
3 sure that they get as much resource as possible.

4 Q So with the surgical process, the surgical process is always
5 going to end up with non-ore going to the place where the
6 ore is, but it never ends up that ore ends up in the TDRSA?
7 Is that what you're suggesting?

8 A I'm suggesting that I think that's unlikely.

9 MR. EGGAN: Barb, may I see slide number 16,
10 please?

11 Q Doctor, I'm looking at the second bullet point on this
12 particular slide. What it says is that,

13 "Acid salts from sulfide oxidation and alkaline
14 salts from backfill mixed with cement and limestone
15 will be released to groundwater during re-flooding,
16 potentially resulting in elevated concentrations of
17 some constituents, e.g., nickel and sulfide" -- excuse
18 me -- "nickel and sulfate."

19 A couple of questions about that. Is it your testimony that
20 when the backfill goes into the mine that there will at
21 least initially be some potential releases?

22 A No. This is on the -- during the time of re-flooding.

23 Q Right. And that is what I'm -- that's what I mean.

24 A Okay.

25 Q I apologize if I'm being inartful. When the waste rock is

1 put back into the mine and the mine is being re-flooded --
2 okay? --

3 A Yes.

4 Q -- you were suggesting in this paragraph that there is at
5 least the potential for some release of contaminated water?

6 A Yes. I think there's the potential for the wash off of
7 salts from the mine walls themselves and alkaline salts from
8 the backfills.

9 Q Do I understand your testimony to be that, after a certain
10 time period there will be no more oxygen in the water and so
11 there will be no more potential for acid mine drainage?

12 A In the re-flooded system, yes.

13 Q Okay. Were you asked to consider that issue by DEQ?

14 A No.

15 Q Okay. Did you consider whether the substances that are
16 going into the mine as part of the re-flooding plan, as part
17 of the closure plan, are inert? Will they be inert?

18 A Not -- do you mean the backfills?

19 Q I mean the backfill, yes.

20 A I would not call them inert.

21 Q What would you call them?

22 A I would call them -- they would have a leachate composition
23 probably similar to what was predicted for the TDRSA.

24 Q Okay. Have you considered whether there is any potential
25 for any of that material to escape the mine area after re-

1 flooding?

2 A No.

3 Q You haven't considered that at all?

4 A I've not read the hydrologic reports and I don't think I
5 can.

6 Q You can't offer an opinion on that?

7 A Yeah, I can't offer an opinion on that.

8 Q Do you know anything about the surrounding aquifers on
9 there, whether they're usable or not?

10 A I've read a little bit from the bedrock groundwater report
11 which indicates it's probably not potable.

12 Q Well, you say "potable," but do you mean by humans, or do
13 you mean by other species?

14 A I mean by humans. Those were the criteria that I remember
15 seeing.

16 Q Did you consider that? Did you analysis that issue and
17 reach any ultimate scientific conclusions?

18 A The only part of that which I considered was the alkalinity
19 which is in that water and also its oxygen content.

20 Q I see. Okay. So you didn't reach any ultimate conclusions
21 about the usability of those aquifers or --

22 A No.

23 Q At the time the mine is re-flooded, there's going to be some
24 reactive rock in the walls of the mine, isn't there?

25 A That's what I meant by the potential for acid salts, yes.

1 Q Would there also be the potential for metals leaching?

2 A Yes, in association with those acid salts; yes.

3 Q Okay. And that goes back to that issue that you and I had
4 about whether it's two problems or just one?

5 A Yes.

6 Q But in any event, as the mine is re-flooded, there's likely
7 to be some reactivity from the walls of the mine itself?

8 A Yes, I believe there will be a wash-off process, what we're
9 really talking about is the water coming, the flooding water
10 coming in and washing the walls of the potential -- it would
11 be acid-generating rock generating some acid and generating
12 some metals leaching, I take it.

13 Q Those processes would have occurred while the mine was open.
14 and the wash-off occurs as it's closed up and re-flooded,
15 yes.

16 MR. EGGAN: Can we go to slide 12, please?

17 Q Doctor, in the upper table that you have here -- there are
18 two tables here on slide 12, but in the upper table, don't
19 we have 3 of the 7 samples producing acid?

20 A Yes, we do.

21 Q Okay. And how do you define acid? Is it a pH above 6.5?

22 A No. In this context, it's a pH less than 5.

23 Q I'm sorry. That's right; pH less than 5?

24 A Yes. And may I continue?

25 Q You may.

1 A Also generally associated with elevated sulfate.

2 Q Associated with elevated --

3 A Yes.

4 Q Okay. I'm curious as to the number of weeks of testing that
5 you utilized in your study and -- or excuse me; the weeks
6 that were utilized in this particular chart or these two
7 charts. You used 50 to 70 weeks, but we know now we have
8 much longer term testing, don't we?

9 A I saw allusions to that in some other testimonies, yes.

10 Q But you did not consider that additional testing period?

11 A I didn't have the data to consider.

12 Q You didn't have the data?

13 A No.

14 Q It wasn't provided to you?

15 A No.

16 Q So the additional data related to testing that occurred
17 after that 70-week mark -- and my understanding is it goes
18 up to almost 200 weeks now. You haven't seen that and don't
19 have access to it?

20 A I do not.

21 Q Okay. Now, this particular -- these two particular charts,
22 they really provide no information on metals leaching at
23 all, do they?

24 A Metals leaching is related to the pH primarily so that it
25 gives an indication of which solutions would have the

1 elevated metals and which would not.

2 Q Okay. Does it provide information on sulfate?

3 A Same; same relationship. The sulfate is derived from
4 oxidation which is driven by sulfite oxidation.

5 Q Now, my understanding is that you didn't do any of your own
6 modeling; is that correct?

7 A That's correct.

8 Q Okay. Essentially what you did was you looked at the data
9 and looked at the modeling that was done by others and
10 offered a critique of those -- of the models done by others.

11 A Yes.

12 Q And obviously you didn't collect your own data.

13 A No.

14 Q I take it you've never been to the mine site here.

15 A No.

16 Q So essentially your charge in what you did was you analyzed
17 the work of others?

18 A Yes.

19 MR. EGGAN: I don't have any additional questions.
20 Thank you, sir, but I believe my colleague will have some
21 questions for you.

22 MR. HAYNES: Dr. Eary, my name is Jeff Haynes. I
23 represent several of the Petitioners in this action. I have
24 a couple of questions for you.

25

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. HAYNES:

Q Before we get there, Dr. Eary, you testified that you're a member of the Acid Drainage Technology Initiative Steering Committee; right?

A Yes.

Q And that's made up of people who have some either scientific or business interest in figuring out what's going on with acid drainage; correct?

A Yes.

Q So it seems to me that acid drainage, then, is a pretty significant problem for hard-rock mines; is that right?

A Yes, it is.

Q It is. We can all agree on that, can't we?

A I think we can.

Q You would agree with Dr. Maest and with Mr. Logdston that it's a serious problem?

A It is.

Q By the way, I noticed in your slides that on slide 5 you identified Mark Logdston as Dr. Logdston. He actually doesn't have a Ph.D., does he?

A Actually I think you're correct; he does not.

Q I just wanted to make sure that the record's clear on that. Dr. Eary, Exhibit 76 is your November 30, 2006 report prepared for the State; correct?

1 A Yes.

2 Q Now, I noticed that, at least on the copy I have, the
3 exhibit or the report is dated November 30, 2006, but on
4 some of the pages, at least in the printed copy I have, the
5 footer shows a date of March 18, 2007. Which date are we
6 dealing with here? Is it November 2006?

7 A Yes.

8 Q Okay. The report was updated in March of 2007?

9 A No, I think that was an auto --

10 Q That was a printing --

11 A -- auto date field --

12 Q Auto date? Okay. Good.

13 A -- or something like that when I opened it back up again to
14 look at it.

15 Q If we could go to page 4 of this exhibit, and go down to the
16 bottom of the page, I think page 4 is the end of your
17 summary of your report, is it not, Dr. Eary?

18 A Yes.

19 Q And in the last paragraph you summarize your view of Mr.
20 Logdston's work, and at the end of that paragraph you talk
21 about "mitigation plans are expected to be adequate for
22 minimizing potentials for acid drainage," et cetera, et
23 cetera. And then you say, "Assuming that they will work as
24 described in the mine plan." Do you see that?

25 A Yes.

1 Q So when you say that the mitigation plans are expected to be
2 adequate, your assumption is that all of the mitigation
3 plans will, in fact, work.

4 A In this context I meant the parts of the mitigation like
5 water treatment and also liners and covers.

6 Q Right. So in order for those mitigations to be effective,
7 they have to work. And that's not part of your expertise;
8 you're just assuming that; correct?

9 A That's correct.

10 Q So for the serious problem we have of acid drainage here, we
11 have to have systems above the ground that are going to
12 work --

13 A Yes.

14 Q -- in order to prevent pollution, impairment or destruction
15 of the air, water and other natural resources; right?

16 A Yes.

17 Q Let's go to page 5 of this report, section 1.1 in the third
18 paragraph. And I just want to make sure that we're all
19 dealing with the same proposal here. In the third sentence
20 that starts "Below ground" -- do you see where I'm starting
21 Dr. Eary?

22 A Yes. Right here (indicating)?

23 Q "Belowground mining will remove nearly all of the
24 massive-sulfide ore, leaving behind only support pillars in
25 small areas of unmineable ore." What's your basis for

1 saying that there are going to be support pillars left
2 belowground?

3 A That I believe was my recollection from the mine plan.

4 Q I see. And, in fact, we know that there will be no support
5 pillars there left; right? This is not a room and pillar
6 mining project; right?

7 A I guess that you are probably correct. I don't remember
8 seeing that exact terminology.

9 Q Okay. So when you say "support pillars," that's, in fact,
10 incorrect.

11 A Okay.

12 Q and when you say "small areas of unmineable ore," when you
13 say "unmineable ore," is that ore that's left around the
14 sides of the mine cavity?

15 A I would assume that those are pockets of ore which are
16 somewhat displaced from the main orebodies.

17 Q I see. And pockets of ore that have groundwater moving
18 through them -- correct? -- presumably?

19 A They could have eventually, yes.

20 Q And so they would provide -- if they're ore, they have high
21 sulfide content; correct?

22 A Yes.

23 Q And they would provide, in a sense food for the reaction
24 that creates acid drainage; correct?

25 A No. The groundwater has no oxygen, so this can't happen.

1 Q Oh, the groundwater has no oxygen?

2 A Yes.

3 Q Zero?

4 A Yes.

5 Q Your opinion is that the groundwater at this site had zero
6 dissolved oxygen?

7 A Based on the data I've seen, yes.

8 Q Now, let's -- Dr. Eary, I may be flipping back between
9 various exhibits that are the Logdston studies and your
10 slides. And so for purposes of ease of doing that, I'm not
11 going to put the slides up on the screen, but let's just
12 go -- I've got the pages and so do you, so let's walk
13 through this as we need to. I'm looking at slide 7 which is
14 your technical guidance documents. Do you have that?

15 A Yes, I've got it.

16 Q The fifth bullet there lists the -- or identifies the
17 "Predicting Water Quality of the Hardrock Mines" paper that
18 was authored by Ann Maest and others; correct?

19 A Yes.

20 Q So do you consider that paper to be one of the technical
21 guidance documents for purposes of predicting acid mine
22 drainage?

23 A Yes.

24 Q Now, you've reviewed, haven't -- you say you've reviewed the
25 various reports prepared by Mr. Logdston including

1 appendix -- what is not appendix D-5 which is the "Post Re-
2 flooded Mine Water Chemistry"? I'm sorry. Do you remember
3 that? That's on side 5?

4 A Yes.

5 Q and in that document Mr. Logdston attempted to predict
6 post-mining water quality. Is that a fair -- is that an
7 accurate statement?

8 A His prediction is actually incremental change in water
9 quality.

10 Q All right. But, I mean, he was -- the purpose of preparing
11 the document was to try to predict the water quality after
12 the mine was re-flooded, --

13 A Yes, that's the general idea.

14 Q -- irrespective of what the conclusions were; right?

15 A Yes.

16 Q And you understand, don't you, that in preparing that
17 prediction, Mr. Logdston did not -- well, he used various
18 portions of the mine and the rock around the mine to try to
19 predict post-mining water quality; right?

20 A Yes; yes.

21 Q But you know that he didn't use any development rock in that
22 calculation; is that right?

23 A I believe he used the mine wall --

24 Q The mine walls?

25 A -- as the basis for the calculation.

1 Q But not the development rock?

2 A Yes.

3 Q Now, on slide 6 which Mr. Eggen asked you about a few months
4 ago, one of the things you say on slide 6 is that the
5 primary purpose of a geochemical assessment program is to
6 guide management decisions; right?

7 A Yes.

8 Q That is, the work you're doing is going to be used by others
9 to figure out how they're going to fix this problem with
10 acid drainage; correct?

11 A Yes. It's directed at designing those mitigation efforts.

12 Q At least that's what you would expect anyway; correct?

13 A Yes.

14 Q Now, if there was a prediction of acid drainage that
15 predicts small exceedances of water quality standards, would
16 the management decisions for mitigating those exceedances be
17 different from management decisions that would have to deal
18 with large exceedances of water quality standards? That is,
19 if you have a small exceedance here (indicating) would the
20 management decisions for that small exceedance be different
21 from the larger exceedance of water quality standards?

22 A Are we just hypothesizing here or --

23 Q I'm asking -- yeah, we're hypothesizing.

24 A They would be different, I would think, in some ways at
25 least.

1 Q And if you again -- again, in a hypothetical sense, if a
2 mine exceeded standards, say, by orders of magnitude over --
3 in one prediction versus another prediction where you had
4 maybe a tenfold increase, would that again tend to change
5 the management decisions?

6 A Not necessarily. There would still have to be a decision
7 made that something would have to be done to mitigate the
8 effect. The extent of the steps taken might be different.

9 Q I see. But there would be a change, obviously, in how the
10 really heavily contaminated water would be managed versus
11 the lightly contaminated water?

12 A Potentially, yes.

13 Q One slide 9, Dr. Eary, you say in the first bullet the
14 samples that Mr. Logdston took were representative of all
15 major rock types and ranges of sulfide contents. Do you see
16 that?

17 A Yes.

18 MR. HAYNES: Could we put up, please, DEQ Exhibit
19 25?

20 Q Well, Dr. Eary, we may have to do this the old-fashioned
21 way. DEQ Exhibit 25 is the mining permit application Volume
22 I which you've reviewed, haven't you?

23 A Yes, I've read that.

24 Q Okay. I have a copy that has some markings on it, but I
25 don't think the markings are going to change my question.

1 Just so that everybody can follow along, this is DEQ Exhibit
2 25. It's the 35th page electronically of the 183 pages in
3 this exhibit, but it's page 16 of the document. Dr. Eary,
4 on page 16 -- this is the mining permit application, Volume
5 I.

6 A Yes.

7 Q And the page 15 of the text starts in section 4.2.5,
8 "Geology and Ore Resources." Do you see that?

9 A Uh-huh; yes.

10 Q And then page 16 has, in my copy at least, a black and white
11 version of the orebody with various boreholes around it. Do
12 you see that?

13 A Yes.

14 Q And then the text immediately beneath that illustration
15 which is illustration 4.1 says:

16 "The sulfide mineralization is divided into
17 massive (greater than 80 percent sulfide), semi-massive
18 (30 to 80 percent sulfide) and disseminated (less than
19 30 percent sulfide) types." Do you see that?

20 A Yes.

21 Q All right. And "disseminated" means the peridotite;
22 correct? Is that your understanding of that?

23 A All of the ore is contained within peridotite.

24 Q Oh, okay. But we have the massive sulfide, which is greater
25 than 80 percent sulfide; right?

1 A Yes.

2 Q And the semi-massive is 30 to 80 percent; right?

3 A Yes.

4 Q And then the remaining peridotite is less than 30 percent
5 sulfide -- or up to 30 percent sulfide; right?

6 A That's what it said there, yes.

7 Q You have no reason to disbelieve that, do you?

8 A No.

9 Q So the peridotite contains up to 30 percent -- the
10 peridotite that's not the massive or semi-massive sulfide
11 contains up to 30 percent sulfide; right?

12 A Yes.

13 Q And that would translate, wouldn't it, to up to 10 percent
14 sulfur content?

15 A Sulfide's sulfur; yes.

16 MR. HAYNES: So, now, can we turn, I hope, to DEQ
17 Exhibit 27?

18 MR. REICHEL: Excuse me, Mr. Haynes, it would be
19 of assistance, we could probably project it.

20 MR. HAYNES: Can you project it?

21 MR. REICHEL: 27?

22 MR. HAYNES: Yeah. That would be great.

23 (Off the record)

24 Q DEQ Exhibit 27 is the Appendix D-1, if can just go to the
25 next page just to identify this for the record, the Phase I

1 Eagle Project Geochemistry Study, you've reviewed this,
2 haven't you, Dr. Eary?

3 A Yes.

4 Q And this Appendix D-1 is Mr. Logdston's initial testing;
5 right?

6 A Yes, the Phase I testing.

7 Q If we could go to the 22nd page of this document which is
8 page 14, and if we look at -- if we look at section 3.3 in
9 third paragraph in the last two sentences, the second to the
10 last sentence of that paragraph says, "The four mineralized
11 peridotite samples reported total sulfur values of a few
12 percent, 2.4 to 3.7, weight percent." Do you see that?

13 A Yes.

14 Q Now, if we agree that the peridotite contains up to 30
15 percent sulfide and therefore up to 10 percent sulfur and
16 the four samples reported by Mr. Logdston show a percent
17 from 2.4 to 3.7, we, in fact, don't have a representative
18 range of sulfide contents of all the major rock types, do
19 we?

20 A There were tests done on peridotite samples with higher
21 sulfide contents, but they were classified as ore.

22 Q Classified as ore?

23 A Yes.

24 Q I see. So -- but we don't have any tests on peridotite that
25 contains up to 10 percent sulfur, do we?

1 A I think there's one at 12 percent.

2 Q At 12 percent?

3 A Yeah, I --

4 Q But it's not reported here.

5 A I think it's Phase II. It was listed as a semi-massive

6 sample.

7 Q Not peridotite?

8 A The semi-massive is contained within a peridotite host.

9 Q All right. Well, let's mince words here 'cause we have to

10 be careful. There's massive sulfide which is one rock type;

11 correct? Right?

12 A That's an ore type, yes.

13 Q But you say "all major rock types" here. I'm talking

14 about -- this is your language.

15 A Yes.

16 Q A major rock type is the massive sulfide; correct?

17 A Yes.

18 Q Another major rock type is the semi-massive sulfide;

19 correct?

20 A Yes.

21 Q Another major rock type is the peridotite not contained in

22 the first two; correct?

23 A The first two are comprised within a matrix of peridotite.

24 Q I'm talking about the leftover peridotite not in the massive

25 but the semi-massive.

1 A Okay. Yes. I agree.

2 Q That's a major rock type; correct?

3 A Yes.

4 Q And then there's the development rock which is another major
5 rock type?

6 A Yes.

7 Q Right? So what we don't have here is testing of the
8 peridotite, the leftover peridotite, if we can use that
9 phrase, that contains anything higher than 3.7 percent
10 sulfur.

11 A No. This leftover peridotite is ore material.

12 Q Oh, I see. They're going to mine all the peridotite.

13 A No, only of the high sulfide.

14 Q And we don't have any tests of that, do we? We have tests
15 that go up to 3.7; correct?

16 A No, there were tests that would -- I'm sorry. Which type of
17 tests are you talking about? AVA tests?

18 Q You say the samples were representative of all major rock
19 types.

20 A Yes; that's correct. All major rock types that will be
21 stored in the TDRSA.

22 Q Oh, I see.

23 A Screening-type tests like this are specific to materials
24 that will be stored for extended periods of time.

25 Q So we should amend your statement on page 9 of your slides

1 to say, "Samples are representative of all major rock types
2 that will be stored in the TDRSA"?

3 A Yes.

4 Q That's a more accurate statement than what you said here?

5 A That's correct. The first paragraph --

6 Q I'm done. Thank you.

7 A -- gives the specifics on that --

8 Q Wait. Wait. I'm done with my question.

9 A -- on that problem.

10 JUDGE PATTERSON: You can only respond to
11 questions, Doctor.

12 Q You've answered it. I'm going to go on to the next
13 question. Now, Dr. Eary, again on page 9 of your slides,
14 the second bullet says, "The numbers of samples on a
15 per-mass basis of development rock" -- I'm not going to go
16 in that direction. All right. Let's go now to slide 11.
17 Do you have that?

18 A Yes.

19 Q The long-term kinetic tests, the second sentence you say:
20 "It is generally accepted that laboratory kinetic tests
21 accelerate the acid-generation process by at least ten times
22 compared to most field conditions." Do you see that?

23 A Yes.

24 Q When you say, "It is generally accepted," to whom are you
25 referring that it's generally accepted? By whom?

1 A Geochemists and people who carry out these type of tests and
2 design them.

3 Q Is that general acceptance published somewhere in the
4 literature? Could I go somewhere and look at up?

5 A Yes. You could look that up in the procedure for the
6 testing itself. It's ASTM Method D5744-96(2001).

7 Q And I think you testified that in your view the ASTM
8 standard specifies that the kinetic tests have a floor or
9 ten times compared to the field; right? That is, it's ten
10 times or more?

11 A The words used in the ASTM say "at least" or something to
12 that effect, "at least one order of magnitude."

13 Q And is it your view that the ASTM standards are accepted by
14 all geochemists in the field?

15 A I'd say in general, yes.

16 Q If we can turn to slide 12, Mr. Eggan asked you about the
17 additional data that has been compiled on Mr. Logdston since
18 the data that you reviewed here, which is the 50 to 70 week
19 tests. Do you remember those questions?

20 A Yes.

21 Q And you're aware that we now have data that stretches into
22 200 weeks or so; correct?

23 A I believe I saw a slide indicating that in one of the
24 previous testimonies.

25 Q Have you asked to see that more recent data?

1 A I never knew that it existed.

2 Q Nobody from the DEQ has given it to you?

3 A No.

4 Q Nobody from the DEQ has asked you to evaluate it?

5 A No.

6 Q In your view, would it be important to evaluate that
7 additional data in order to testify today?

8 A I don't think it matters a tremendous amount because the 50
9 to 70 weeks is actually much longer than usual. And if we
10 consider the order of magnitude of 10 times, then we are
11 already talking about a very long time period.

12 Q Right. And if the order of magnitude is -- if a responsible
13 geochemist were to consider the order of magnitude to be
14 less than ten times, then the additional data might be --
15 would be important, wouldn't it?

16 A Yes, if that were the conjecture.

17 Q Or the opinion of a responsible geochemist?

18 A Yes.

19 Q If we can turn to slide 15, Dr. Eary, you say in slide 15
20 that:

21 "The exposure of the semi-massive and massive
22 sulfide in the underground workings will results in
23 production of acidic leachates"; in other words,
24 contaminated water; right?

25 A Yes.

1 Q When you prepared your November 30, 2006 report, DEQ Exhibit
2 76, that report evaluated the work by Mr. Logdston which
3 assumed a certain height of the crown pillar, didn't it?
4 Well, let me back up. Do you know what I mean by the crown
5 pillar?

6 A Yes.

7 Q The crown pillar is the portion of the rock that sits
8 above -- is above the mine; correct?

9 A Yes.

10 Q And do you know what the height of the crown pillar was when
11 Mr. Logdston was doing his tests?

12 A I don't remember the numbers.

13 Q Do you know that the height of the crown pillar has changed
14 over time?

15 A No, I'm not aware of that or how much.

16 Q If the height originally was at -- well, if the elevation of
17 the crown pillar that was originally proposed was at 353
18 meters --

19 A Okay.

20 Q -- and now it's a 323 --

21 MR. LEWIS: 327, Counsel.

22 MR. HAYNES: Thank you, Counsel.

23 Q -- 327; that is, the crown pillar height was increased by
24 some 20 -- about 30 meters give or take; right?

25 A Okay.

1 Q Do you understand that?

2 A Yes.

3 Q I mean, have you seen that somewhere?

4 A I know there was some discussion of that in something that I
5 read, but I don't remember the precise numbers, but I --

6 Q But as far as know, Mr. Logdston's tests dealt with a mine
7 that had a crown pillar at the height of 353 meters?

8 A Yes. It would have been specific to the original mine
9 permit application.

10 Q Yes. Okay. And so when the -- and the crown pillar's
11 now -- the height has been increased by, give or take, 30
12 meters.

13 A Uh-huh (affirmative).

14 Q And the crown pillar contains, as you know -- with that
15 increased height, the crown pillar contains more of the ore
16 than it used to with that increase in height. Is that a
17 fair assumption?

18 A In volume, yes.

19 Q In volume. So now, with an increased crown pillar we will
20 have more ore exposed to weathering; correct? Water coming
21 through it, exposed to -- groundwater coming through it,
22 groundwater that presumably had oxygen in it; right?

23 A No, I don't believe there would be any oxygen in the water
24 that comes through it. There would be oxygen within the
25 mine workings.

1 Q Okay. But more -- but the crown pillar with its increased
2 height will have more ore exposed to groundwater flowing
3 through it; right?

4 A I'm not certain because that would depend on the mine's plan
5 to intersect the crown pillar on how it meets up.

6 Q I see. Would it be important, nevertheless, to conduct
7 tests or to perform a model based upon the new crown pillar
8 height of purposes of predicting water chemistry in the
9 mine?

10 A One could do that, but I believe it would come up with the
11 same net result.

12 Q If we could turn to slide 20, slide 20 talks about the
13 assumption of the TDRSA rock types. And in this slide you
14 criticize Stratus for assuming certain amounts of ore that
15 would be, at least in Dr. Maest's view, contained in the
16 TDRSA. Do you see that slide?

17 A Yes.

18 Q Mr. Eggan asked you some questions about how the ore is
19 going to be separated from the waste rock in the mining
20 process. Do you know that -- are you aware that the ore
21 when it's going to be, for lack of a better word, shoveled
22 out of the bottom of the stopes, it's going to be done
23 remotely, with remote vehicles?

24 A No.

25 Q You don't know that?

1 A No.

2 Q And if it's going to be taken out with remote vehicles,
3 there's going to be no humans standing down there in the
4 stope areas telling the vehicles which portion of the rock
5 to take as ore and which to take as waste rock. If it's
6 done remotely, that's not going to happen, will it?

7 A It doesn't sound like it, no.

8 Q So if that's the way the ore is going to be taken out of the
9 mine, who is going to decide and where will they decide
10 which portion of this material that's been taken out of the
11 blasted stopes and which will be development rock?

12 A I assume that would have been decided at the point of
13 blasting where the blast positions are made and whether it's
14 ore or not ore.

15 Q Okay. And, of course, the blasting will, when the blasts
16 occur, will take out only ore or will take out only waste
17 rock -- right? -- and the two won't mix. Is that what
18 you're saying?

19 A I don't know about that.

20 Q It's certainly conceivable, in fact, probable that you'll
21 have some -- that the operations here will have some mixing
22 of the waste rock or the development rock and the ore during
23 the blasting process. You would agree with me on that,
24 wouldn't you?

25 A That could be a possibility, yes.

1 Q A probability. More likely than not?

2 A That?

3 Q You will have mixing of the waste rock and the ore during
4 the blasting process when this material is removed by remote
5 machines?

6 A I can't really comment on whether the blasting technology
7 would do that or not.

8 Q So now there -- in other words, you really don't know
9 whether there will be mixing of the waste rock and the ore
10 during the blasting?

11 A I would presume there would not be, but I don't know for
12 certain.

13 Q If we can go, Dr. Eary, to slide 26, slide 26, Dr. Eary --
14 excuse me. In slide 26 you criticized the Stratus
15 geochemical model. Do you see that?

16 A Yes.

17 Q And is it your view that Mr. Logdston performed geochemical
18 modeling in his work?

19 A Yes.

20 Q You understand that a great deal of what he did was mass
21 balance modeling; right?

22 A Yes.

23 Q Which is not geochemical modeling, is it?

24 A It is.

25 Q You're saying the mass -- all right. Let me make sure we're

1 talking about the same thing. The mass balance model really
2 is a spread sheet model where there are certain inputs that
3 are modified numerically; right?

4 A It would be a spreadsheet based on the geochemical kinetic
5 testing, yes.

6 Q Okay. Based upon the test results?

7 A Yes.

8 Q And a geochemical model would have chemical equations
9 involved in the modeling, wouldn't they?

10 A Yes, certain types of geochemical models, yes.

11 Q And the type of geochemical model that you're criticizing
12 Stratus for not having conducted would involve those kinds
13 of equations; right?

14 A Yes.

15 Q But, in fact, Stratus didn't do that kind of geochemical
16 modeling here, did they? Did Dr. Maest?

17 A Not that I can tell, no.

18 Q And neither did Mr. Logdston?

19 A Yes, he did.

20 Q The kind of geochemical modeling with chemical equations --
21 A Yes.
22 Q -- rather than a mass balance?
23 A He did both.

24 Q Let's turn to DEQ Exhibit 29, and if we could go to the 22nd
25 page of this exhibit, and if we scroll down, please, to the

1 paragraph right before the title that starts -- by the way,
2 Exhibit 29 is the -- I think it's Appendix D-5, yes, which
3 is the "Post Re-flooded Mine Water Chemistry." Do you
4 remember reading this document, Dr. Eary?

5 A Which appendix is this?

6 Q Appendix D-5.

7 A Yes.

8 Q Okay. And we're on page 2 of this document which is the
9 technical memorandum from Mark Logdston to Jon Cherry dated
10 January 19, 2006. And on the second page of this document
11 which is this 22nd page of this exhibit, the first line of
12 the paragraph before the title "Leachate Chemistry and Model
13 Input" says, "The computational model begins with a
14 mass-balance calculation." Do you see that?

15 A Yes.

16 Q So at least here Mr. Logdston is doing a mass-balance
17 calculation rather than the geochemical modeling that you
18 were talking about; right?

19 A Yes. I would still call that a geochemical model, but it
20 does not involved chemical equations.

21 Q Dr. Eary, at the close of your direct examination Mr.
22 Reichel asked you a series of questions about whether
23 various management techniques would reduce the potential for
24 acid generation. Do you recall those questions --

25 A Yes.

1 Q -- generally? One of them was whether limestone addition
2 would reduce the potential for acid generation, and you said
3 it would reduce it; correct?

4 A Yes.

5 Q The limestone addition, in your view, may reduce the
6 potential for acid drainage, but it doesn't eliminate the
7 potential, does it?

8 A No, it does not.

9 Q Mr. Reichel asked you and I believe you testified that
10 containing the development rock in a facility such as the
11 TDRSA will reduce the potential for acid drainage; correct?

12 A Loss of that drainage to the outside, yes.

13 Q Reduce the loss of drainage; right? But it doesn't
14 eliminate that potential, does it?

15 A That would depend on the liner design which I don't feel
16 qualified to give an opinion on.

17 Q You also said that the rapid re-flood of the mine will
18 reduce the potential for continued long-term acid formation,
19 if my notes are correct.

20 A Yes.

21 Q That's what you testified to?

22 A Yes.

23 Q But the rapid re-flooding of the mine does not eliminate the
24 potential for long-term acid formation, does it?

25 A I believe it does in this case.

1 Q It reduces the potential for continued long-term acid
2 formation to zero?

3 A Yes.

4 MR. HAYNES: Thank you, Dr. Eary. I have nothing
5 further at this time.

6 REDIRECT EXAMINATION

7 BY MR. REICHEL:

8 Q Dr. Eary, at one point in your cross-examination by Mr.
9 Haynes I believe he was asking you a question about one of
10 your slides and whether or not -- let me look at my notes
11 here. Just a moment.

12 (Counsel reviews notes)

13 Q I believe it had to do with one of your slides having to do
14 with sampling and analysis and -- okay. It's slide 9 -- and
15 a statement on that slide, the second bulleted item that
16 states, "Samples are representative of all major rock types
17 and ranges of sulfite contents." Do you recall that?

18 A Yes.

19 Q And there was some further discussion about what you
20 intended to refer to, and I believe you indicated you
21 intended the reference to be to rock types stored in the
22 TDRSA. Do you recall saying that?

23 A Yes; that's correct.

24 Q But in responding to that question or an immediately
25 following question, you attempted to elaborate on your

1 answer and were not given an opportunity to do so.

2 Recognizing this was some minutes ago, can you recall --

3 A Yes.

4 Q -- what else you wanted to add on that point?

5 A Actually it was exactly what you just said. These sampling
6 numbers and representation of the rock types is specific to
7 the rocks which will be stored in the aboveground facility
8 there, the TDRSA. It does not apply to ore materials which
9 will not be stored on site.

10 Q During Mr. Eggan's cross-examination he asked you a series
11 of questions relating to -- I believe referring -- he
12 actually approached you and showed you what I believe was
13 page 5 of 11 of the November 7th, 2005 report from
14 Geochimica and asked you a series of questions about what
15 that table or spreadsheet there indicated about whether or
16 not a test run that involved the addition of limestone --
17 whether a column for certain parameters did or did not show
18 an effect. Do you recall that?

19 A Yes.

20 Q To the extent that you indicated that -- in response to some
21 of Mr. Eggan's questions that there was not an observed
22 effect, does that in any way alter your basic conclusion
23 about the effects of limestone in terms of the ability to
24 reduce acid rock drainage?

25 A No, it doesn't.

1 Q Can you explain why?

2 A The effect of limestone is to provide a source of alkalinity
3 and buffer the pH at a high level. Those are the major
4 controls on what metals and what metal concentrations can be
5 achieved in solution. For most of the metals, they don't
6 actually reach concentrations high enough that the limestone
7 has a strong effect on them. But the importance of the
8 limestone is to maintain the neutral pH condition so that
9 conditions of acidity which are the initial step in metal
10 leaching don't occur. So it's really -- pH control is the
11 importance of limestone.

12 Q During cross-examination, Mr. Eggan asked

13 A Yes series of questions about whether you individually with
14 the firm with which you're now employed have ever been under
15 contract to perform work for either Kennecott or Rio Tinto.
16 Do you recall that line of questioning?

17 A Yes.

18 Q Let me ask you this, sir: First of all, in performing the
19 review or contract to the DEQ, it resulted in the report
20 that you prepared which has been admitted at Respondent's
21 Exhibit 76, your November 30th, 2006 report. Was any of the
22 analysis and conclusions you reached on that document
23 affected in any way by any potential employment by you by
24 Kennecott or any Kennecott-related entity?

25 A No, it wasn't. At the time I did the review I had never

1 worked for Kennecott on a contractual basis.

2 Q and moving forward in time to the work that you've done
3 under contract in terms of appearing as a witness for the
4 DEQ in this proceeding and preparing related documentation,
5 has either your -- whatever contractual relationship you
6 testified to that you have with a Kennecott-related entity,
7 has that affected in any way the conclusions you reached or
8 the opinions you've offered here today?

9 A No. My conclusions were reached during my review which
10 preceded my work on the current Kennecott contract. They're
11 also completely different systems in terms of chemistry.
12 The current contract is with an existing operation, and the
13 people are not any way connected that I know of.

14 Q And I believe he also asked you a question about a
15 contractual relationship between the consulting firm for
16 which you currently work and some Kennecott or Rio
17 Tinto-related entity?

18 A Yes.

19 Q Again, has that relationship in any way affected either the
20 analysis you performed for the DEQ or the opinions that you
21 testified here to today?

22 A No. Again, my basic opinions were formed during my review
23 which preceded all of those events.

24 MR. REICHEL: I have nothing further at this time.

25 MR. LEWIS: I don't have any questions, your

1 Honor.

2 MR. HAYNES: Nothing further.

3 MR. EGGAN: Just a question or two, Judge.

4 RE CROSS-EXAMINATION

5 BY MR. EGGAN:

6 Q You are presently under contract with the State of Michigan,
7 are you not?

8 A Yes.

9 Q And you signed a contract in April of this year, I take it?

10 A I think it was April, yes.

11 Q And that contract provided that you were to prepare this
12 outline summary; am I right?

13 A No. That was to prepare -- actually, to review my materials
14 from my review in preparation for this hearing.

15 Q So you were preparing for the hearing?

16 A Yes.

17 Q Okay. And that included review of materials that were
18 prepared by Dr. Maest and Stratus?

19 A That came along later, but that was part of it as well.

20 Q But it was part of your contract and part of your agreement?

21 A Yes, it was.

22 Q And you only got the materials related to Ann Maest when?

23 A That was this spring as well. I think it was April or May.

24 Q Okay. And all during this time period, April or May, you
25 had a contract with Kennecott -- a consultancy arrangement

1 with Kennecott Utah?

2 A Yes, it was in place at that time.

3 Q Very good. And your firm has this arrangement with
4 Kennecott on another -- or with Rio Tinto on another
5 project?

6 A Yes. I don't know if it's actually started yet, but I
7 believe it will soon.

8 Q Okay. Well, there are certainly contract negotiations going
9 on and people talking back and forth between the two
10 entities?

11 A They must be.

12 MR. EGGAN: Very good. Nothing further, your
13 Honor.

14 MR. LEWIS: Nothing further.

15 MR. REICHEL: Nothing further, your Honor.

16 JUDGE PATTERSON: Thank you, Doctor.

17 MR. REICHEL: Your Honor, as I indicated earlier
18 in response to your inquiry, for scheduling reasons that we
19 previously discussed, the next witness that we anticipate
20 calling, James Janiczek -- he is James Janiczek. He is not
21 available until Friday.

22 JUDGE PATTERSON: Okay. That was going to be my
23 question. So I get a day off tomorrow?

24 MR. REICHEL: you're, from my standpoint, your
25 Honor.

1 MR. HAYNES: So we're off for tomorrow.

2 MR. EGGAN: Sounds great.

3 JUDGE PATTERSON: Okay.

4 MR. EGGAN: Thank you.

5 (Proceedings adjourned at 4:59 p.m.)

6 -0-0-0-

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25