

STATE OF MICHIGAN

STATE OFFICE OF ADMINISTRATIVE HEARINGS AND RULES

<p>3 In the matter of:</p> <p>4 The Petitions of the Keweenaw 5 Bay Indian Community, Huron 6 Mountain Club, National 7 Wildlife Federation, and 8 Yellow Dog Watershed 9 Environmental Preserve, Inc., 10 on permits issued to Kennecott 11 Eagle Minerals Company. 12 _____/</p>	<p>File Nos.: GW1810162 and MP 01 2007</p> <p>Part: 31, Groundwater Discharge 632, Nonferrous Metallic Mineral Mining</p> <p>Agency: Department of Environmental Quality</p> <p>Case Type: Water Bureau and Office of Geological Survey</p>
--	---

D R A F T T R A N S C R I P T

HEARING - VOLUME NO. XXXV (35)

BEFORE RICHARD A. PATTERSON, ADMINISTRATIVE LAW JUDGE

Constitution Hall, 525 West Allegan, Lansing, Michigan

Friday, June 27, 2008, 8:30 a.m.

APPEARANCES:

<p>19 For the Petitioner</p> <p>20 Keweenaw Bay Indian 21 Community:</p>	<p>MR. ERIC J. EGGAN (P32368) Honigman Miller Schwartz and Cohn LLP 222 North Washington Square, Suite 400 Lansing, Michigan 48933-1800 (517) 377-0726</p>
---	--

1 For the Petitioners JEFFREY K. HAYNES (P25140)
Yellow Dog Watershed Beier Howlett, PC
2 Preserve and National 200 E. Long Lake Road, Ste. 110
Wildlife Federation: Bloomfield Hills, Michigan 48304
3 (248) 645-9400

4

5 For the Respondent ROBERT P. REICHEL (P31878)
Michigan Department of Assistant Attorney General
6 Environmental Quality: Environment, Natural Resources and
Agriculture Division
7 6th Floor, Williams Building
525 West Ottawa Street, PO Box 30755
8 Lansing, Michigan 48909
(517) 373-7540

9

10 For the Intervenor JEFFREY W. BRACKEN (P25648)
Kennecott Eagle CHRISTOPHER J. PREDKO (P56040)
11 Minerals Company: Warner Norcross & Judd LLP
2000 Town Center, Suite 2700
12 Southfield, Michigan 48075
(248) 784-5000

13

14

15 RECORDED BY: Rebecca A. Alexander, CER 4233
Certified Electronic Recorder
16 Network Reporting Corporation
1-800-632-2720

17

18

19

20

21

22

23

24

25

TABLE OF CONTENTS

PAGE

WITNESS: RESPONDENT

JAMES JANICZEK

Direct Examination by Mr. Reichel7129
Cross-Examination by Mr. Egan7227
Cross-Examination by Mr. Haynes7277
Redirect Examination by Mr. Reichel7287
Cross-Examination by Mr. Bracken7294
Recross-Examination by Mr. Egan7299

NOTE: Page numbers may change on final transcript.

EXHIBIT INDEX

PAGE

	IDENTIFIED	RECEIVED
1		
2		
3		
4	Respondent's Exhibit 141	7224
5	(2/20/06 Groundwater discharge permit application)	
6	Respondent's Exhibit 142	7224
7	(2/20/06 Groundwater discharge permit application, Appendix A)	
8	Respondent's Exhibit 143	7224
9	(2/20/06 Groundwater discharge permit application, Appendix B)	
10	Respondent's Exhibit 144	7224
11	(2/20/06 Groundwater discharge permit application, Appendix C)	
12	Respondent's Exhibit 145	7224
13	(2/20/06 Groundwater discharge permit application, Appendix D)	
14	Respondent's Exhibit 146	7224
15	(2/20/06 Groundwater discharge permit application, Appendix E-1)	
16	Respondent's Exhibit 147	7224
17	(2/20/06 Groundwater discharge permit application, Appendix E-2)	
18	Respondent's Exhibit 148	7224
19	(2/20/06 Groundwater discharge permit application, Appendix E-3)	
20	Respondent's Exhibit 149	7224
21	(2/20/06 Groundwater discharge permit application, Appendix F-1)	
22	Respondent's Exhibit 150	7224
23	(2/20/06 Groundwater discharge permit application, Appendix F-2)	
24	Respondent's Exhibit 151	7224
25	(2/20/06 Groundwater discharge permit application, Appendix G-1)	

1	Respondent's Exhibit 152	7224
	(2/20/06 Groundwater discharge permit	
2	application, Appendix G-2)	
	Respondent's Exhibit 153	7224
3	(2/20/06 Groundwater discharge permit	
	application, Appendix H)	
4	Respondent's Exhibit 154	7224
	(2/20/06 Groundwater discharge permit	
5	application, Appendix I)	
	Respondent's Exhibit 155	7224
6	(2/20/06 Groundwater discharge permit	
	application, Appendix J)	
7	Respondent's Exhibit 156	7224
	(2/20/06 Groundwater discharge permit	
8	application, Appendix K)	
	Respondent's Exhibit 157	7224
9	(2/20/06 Groundwater discharge permit	
	application, Appendix L)	
10	Respondent's Exhibit 158	7224
	(2/20/06 Groundwater discharge permit	
11	application, Appendix M)	
	Respondent's Exhibit 160	7225
12	(4/7/06 KEMC response to 3/22/06 letter)	
	Respondent's Exhibit 164	7225
13	(4/27/06 Additional submittals to KEMC	
	permit application)	
14	Respondent's Exhibit 179.	7226
	(8/8/06 Advisement to Jonathan Cherry)	
15	Respondent's Exhibit 216.	7227
	(8/8/06 Letter from DEQ to KEMC)	
16	Petitioner's Exhibit 31-26.	7259
	(Groundwater Modeling Guidance, 10/16/02,	
17	by Richard J. Mandle, Groundwater Modeling	
	Program, MDEQ)	

18

19

20

21 NOTE: Page numbers may change on final transcript.
 22 Full exhibit list for today will be included in the final
 transcript.

23

24

25

1 Lansing, Michigan

2 Friday, June 27, 2008 - 8:32 a.m.

3 MR. EGGAN: Judge, we have a visitor with us this
4 morning at counsel table that you probably don't recognize
5 from these proceedings but may recall from other
6 proceedings. This is Kenneth Gold to my right. Kenneth is
7 a partner -- one of my partners, and I asked him to join us
8 briefly today.

9 JUDGE PATTERSON: Welcome. Mr. Reichel?

10 MR. REICHEL: I'm ready to proceed. But Mr.
11 Predko has indicated he has a procedural issue he wants to
12 raise.

13 JUDGE PATTERSON: Oh, okay.

14 MR. PREDKO: Your Honor, we do have one procedural
15 issue I've placed on the bench there in front of you. It's
16 a bench memorandum that I don't intend to argue today but
17 just want to mention. And the subject is rebuttal
18 testimony. Based on statements made by Petitioners'
19 counsel, we do expect they intend to offer some rebuttal
20 testimony. And we outlined in the memo why we don't think
21 that rebuttal is appropriate here but, if it is appropriate,
22 that it should be restricted to its proper scope. And on
23 those lines, what we would ask for today is that the court
24 set a deadline next week, and I propose Tuesday of next
25 week, by which Petitioners would at least identify who they

1 plan to call, the subject matter and the proposed order,
2 number one, so that we can prepare for those witnesses and,
3 number two, so that we could possibly have a conference
4 possibly in chambers and then maybe on the record about
5 rebuttal testimony and the subjects that will be covered and
6 the issues that are outlined in the memo. And like I said,
7 that will, number one, give everybody fair notice of the
8 rebuttal testimony and, number two, it will allow us to
9 decide issues regarding rebuttal testimony prior to
10 expending time and money on those rebuttal witnesses.

11 JUDGE PATTERSON: Mr. Egan?

12 MR. EGGAN: Your Honor, we just got the bench
13 memorandum last evening. And we, as a group, have really
14 had time and really had no time to go through the memo. I
15 think a lot of --

16 JUDGE PATTERSON: Nor have I obviously.

17 MR. EGGAN: Yeah. I think what -- a lot of
18 what -- Mr. Predko makes sense in terms of conferring about
19 it and advising the parties or discussing among the parties
20 who is going to be called and a schedule for doing so. So I
21 think a lot of that makes sense. What I hope is that, after
22 we review this over the weekend, we can have a conference.
23 We can discuss this on Monday with you or Tuesday, whatever
24 is convenient to you.

25 JUDGE PATTERSON: Okay.

1 MR. PREDKO: Yes. Well -- and the purpose today
2 was not to argue the fine points of the memo.

3 JUDGE PATTERSON: Right.

4 MR. PREDKO: That's saved for sometime next week.
5 But the purpose today was to at least set some sort of
6 deadline before we take our week and a half break by which
7 Petitioners would at least identify the witnesses and
8 subject matter on which they plan to have them testify.

9 MR. EGGAN: And I think we can do that. I think
10 we're very willing to do that. So I think that makes good
11 sense.

12 MR. HAYNES: Your Honor, if I may, I fully agree
13 with Mr. Egan that it's appropriate for us to notify
14 Respondent and Intervenor of who our rebuttal witnesses will
15 be. And I think that the cast of characters will be known
16 to them. And certainly for us to tell them what the subject
17 matter of the rebuttal is is perfectly fine, and we will be
18 prepared to do that perhaps not Monday or Tuesday but, you
19 know, sometime to give them enough notice to prepare.

20 MR. PREDKO: Well, the only issue we have, your
21 Honor, is that there may be argument about whether certain
22 testimony is appropriate. And so we would ask that it be
23 done Tuesday or possibly at the very latest Monday morning
24 so that we could at least have that discussion before we go
25 on our week and a half break.

1 MR. EGGAN: Did you mean at the very latest
2 Wednesday morning? You said Tuesday and then dropped back
3 to Monday. Do you mean Wednesday morning?

4 MR. PREDKO: Yes. If I said Monday morning, I
5 misspoke.

6 JUDGE PATTERSON: Yeah. You said Tuesday or at
7 the latest Monday morning.

8 MR. PREDKO: It would be clever bargaining but I
9 misspoke.

10 MR. EGGAN: Noted by all.

11 MR. PREDKO: Today would be fine, too.

12 JUDGE PATTERSON: I think we really don't know if
13 we have any problems at this point. Talk among yourselves
14 and see where you are.

15 MR. EGGAN: Yes. We will. And that's --

16 JUDGE PATTERSON: If there is disagreement or a
17 problem, we can deal with that.

18 MR. EGGAN: I was going to raise another issue
19 while we're discussing procedure, and that is what you have
20 in mind in terms of post-hearing briefing. We are getting
21 hopefully to a point where we can see the end of these
22 proceedings. We would like a sufficient time period to be
23 able to provide meaningful post-hearing proposed findings of
24 fact and conclusions of law and briefing.

25 JUDGE PATTERSON: I would certainly encourage

1 that.

2 MR. EGGAN: Do you have a time period in mind in
3 terms of --

4 JUDGE PATTERSON: I usually leave that up to you,
5 what you need.

6 MR. EGGAN: Okay. That's another issue that --

7 JUDGE PATTERSON: So think about that.

8 MR. EGGAN: -- that we should be talking among
9 ourselves about.

10 JUDGE PATTERSON: Yeah.

11 MR. REICHEL: I would agree with that, your Honor.
12 I think counsel should confer on these issues and see what
13 we can agree on.

14 MR. EGGAN: Very good. Thank you.

15 JUDGE PATTERSON: I assume that's -- I assume it's
16 something you can't fly out in a couple days after the
17 hearing. Frankly I'm in no hurry.

18 MR. EGGAN: Okay.

19 JUDGE PATTERSON: You know, set a realistic
20 deadline that you can live with.

21 MR. REICHEL: We would agree, your Honor.
22 Kennecott is obviously in more of a hurry than --

23 JUDGE PATTERSON: Right. Understood.

24 MR. REICHEL: -- the rest of the folks here. And
25 if we can put that issue on the docket of issues that we

1 discuss before we go on our break, we would appreciate that.

2 JUDGE PATTERSON: Okay. All right.

3 MR. EGGAN: Yeah, we would, too.

4 MR. HAYNES: And I think all counsel for
5 Petitioners will be here next week probably Monday. So that
6 might be an appropriate time to discuss that.

7 JUDGE PATTERSON: But again I'll leave that up to
8 you as to how much time you need to do that.

9 MR. PREDKO: Thank you, your Honor.

10 MR. REICHEL: Are we ready to proceed, your Honor?

11 JUDGE PATTERSON: It's delaying the inevitable for
12 me.

13 MR. REICHEL: I'm sorry?

14 JUDGE PATTERSON: It's delaying the inevitable for
15 me. My real work is starts when that's over. You ready?

16 MR. REICHEL: We're ready, your Honor.

17 JUDGE PATTERSON: Okay.

18 MR. REICHEL: At this time, Respondent calls James
19 Janiczek.

20 REPORTER: Do you solemnly swear or affirm the
21 testimony you're about to give will be the whole truth?

22 MR. JANICZEK: I do.

23 MR. REICHEL: Good morning, Mr. Janiczek.

24 MR. JANICZEK: Good morning.

25 JAMES JANICZEK

1 on the record and express my concern about it. On behalf of
2 my clients it's -- with all due respect to Mr. Reichel, it
3 just -- it really impacts our client's ability to respond
4 effectively to it.

5 MR. REICHEL: If I may respond, your Honor --

6 MR. HAYNES: I join in the objection.

7 MR. REICHEL: Well, I first want to understand if
8 the objection is to the witness testifying or the use of
9 this -- anticipated use -- we're getting the cart before the
10 horse. But we have marked for identification as
11 Respondent's proposed 216 as a demonstrative exhibit, a
12 series of slides that Mr. Janiczek is prepared to testify
13 that he prepared to assist in outlining his testimony.

14 First of all, as the court will see if we are
15 allowed to use this document, the vast majority of these
16 slides consist of a review of the relevant sections of the
17 statute, review of a series of provisions in the Part 22
18 Rules which outline the rules, both procedural and
19 substantive, that Mr. Janiczek and his staff considered in
20 putting this permit together. And, of course, the thrust of
21 the petition filed in this case is that the department
22 allegedly failed in multiple respects to follow its own
23 rules. Mr. Janiczek is both the -- will testify that he was
24 both the permit -- he actually signed the permit and he was
25 the one, he will testify, who coordinated the process by

1 which the permit was put together. These are -- these
2 procedural slides, which we don't intend to spend a lot of
3 time on, are simply intended to summarize in a visual way
4 some of the rules that he and his staff considered. And
5 with respect to the details -- and then there are a series
6 of slides that talk about the process specific to this
7 permit that Mr. Janiczek and his staff followed who was
8 assigned to look at what, chronology of that. And then
9 finally the last section of the slides, which is a
10 relatively short set, describes specific to this permit some
11 of the key provisions of the permit and are intended to
12 allow him to explain how those provisions including effluent
13 limitations were established.

14 It is nothing -- there is nothing new in this that
15 could conceivably be a surprise. They're merely intended as
16 a -- essentially a visual aid, although I -- and I indicated
17 to counsel I regret the fact that I was not able to provide
18 earlier to today. I submit, your Honor, that, as we go
19 through these, assuming we're allowed to do that, it will
20 become very apparent that there is nothing new or surprising
21 here. And indeed again I can't seriously believe that
22 counsel is objecting to testimony by this witness. If the
23 objection goes to the use of these slides, I guess that's
24 another matter. But these are simply a visual aid and an
25 outline, your Honor, nothing new.

1 MR. EGGAN: Yeah. I will clarify that I'm not
2 objecting to Mr. Janiczek's testimony. He was listed as a
3 witness. We were not -- we did not believe that the
4 recitation of his testimony was particularly helpful. But I
5 think Mr. Reichel can understand the concern that any lawyer
6 would have when they arrive at court on the morning of the
7 witness' testimony and they receive a slide show
8 presentation 67 pages in length which, as I say, I think is
9 a record in this, that outlines information we've known and
10 Mr. Reichel has known that Mr. Janiczek would be testifying
11 in this case since April 1st. Why couldn't we have had this
12 slide show two months ago, let alone 20 minutes ago? And so
13 again on behalf of my clients, I have to express our concern
14 that this kind of -- this is the kind of thing that has
15 happened over and over in this case and which has really
16 impacted our ability to effectively prepare for the
17 cross-examination of a witness in a matter where we had no
18 discovery.

19 MR. HAYNES: Your Honor, it really goes to the
20 question of surprise. Because certainly if -- and I assume
21 that Mr. Janiczek prepared these slides or had his staff
22 prepare the slides. That assignment was probably given to
23 him or his staff some days ago if not weeks ago. Just to
24 prepare 67 pages would take some time. And knowing that he
25 would be testifying, it seems to me that counsel would

1 have -- has an obligation to have presented these slides,
2 which took, no doubt, a long time to prepare and type up and
3 proofread and all of that -- we could have had this before
4 8:15 this morning.

5 So I don't object to Mr. Janiczek testifying. But
6 again we have, as Mr. Eggan pointed out, 67 pages of quite
7 dense material. And it is impossible for us to do more a
8 most cursory of reviews of this material to try to
9 understand how it's supposed to help Mr. Janiczek in his
10 testimony.

11 MR. REICHEL: Your Honor, I stand on my previous
12 comments. And I don't believe that any of this material is
13 objectionable for the purpose for which we intend to use it.
14 In the event that, as we -- if the court were to allow us to
15 use these, if there is some point in this presentation that
16 the Petitioners believe there is some surprise, I suppose --
17 well, I won't presume anything about this. But I honestly
18 believe, your Honor, that there is nothing of a surprising
19 nature here.

20 JUDGE PATTERSON: Mr. Bracken?

21 MR. BRACKEN: Yeah. Just a few observations, your
22 Honor. And, of course, you're well aware I haven't been
23 here every day. But it strikes me that obviously there's
24 nothing wrong with Mr. Janiczek testifying to this. And if
25 he had walked up there and testified with notes he had

1 prepared just like these slides, there would be no objection
2 to that, of course. And all this is really is a
3 demonstrative exhibit, as I understand it, to assist him and
4 to assist us to move forward on the direct examination.
5 Every party in this case has used these slide shows from
6 what I can tell. And I haven't been here every day. And,
7 in fact, I also recall that the Petitioners, one slide in
8 particular that Dr. Maest used, was not even prepared by her
9 until the night between her two days of testimony. And that
10 was introduced not as a demonstrative exhibit but as a
11 substantive exhibit. So it strikes me that, first of all,
12 all we're doing here is trying to assist all of us in moving
13 through this gentleman's testimony in a logical manner doing
14 nothing different than we've done for witnesses on all sides
15 of the case from my observation.

16 JUDGE PATTERSON: You know, I don't see that it's
17 any different than what we've done previously. So I
18 understand, Mr. Eggen, your concern with these demonstrative
19 exhibits. You've expressed that. And I've ruled on that in
20 the past. Bottom line for me as an assistance to me as a
21 trier of fact to understand the testimony. And I don't
22 think it's any different than if he testified and went to
23 the board and drew these things as he went along. Based on
24 Mr. Reichel's assurance that none of these present any new
25 or surprising evidence, I will allow the use of them.

1 MR. REICHEL: Thank you, your Honor.

2 MR. EGGAN: Thank you, your Honor.

3 Q Mr. Janiczek, before we get into -- just to follow up on a
4 comment I made earlier, I believe this is already in the
5 record. Mr. Janiczek, were you, in fact, the person within
6 the DEQ who signed the Part 31 groundwater discharge permit
7 that is one of the issues in this case?

8 A That's correct.

9 Q Okay. And did you, in fact, oversee other DEQ staff who
10 were involved in the review process?

11 A That's correct.

12 Q Before we get into the development of the permit and some of
13 the issues in this case, I'd like you to briefly review your
14 educational background and your professional work
15 experience.

16 MR. REICHEL: Your Honor, I would note for the
17 record that Mr. Janiczek's resume, Respondent's Exhibit 10,
18 has already been admitted pursuant to stipulation of the
19 parties.

20 Q So, Mr. Janiczek, could you please first describe your
21 formal academic training?

22 A I have a bachelor of science degree in geology from Wayne
23 State University.

24 Q And since you obtained that degree, have you taken any
25 additional courses related to geology or hydrogeology?

1 A Yes. I have taken graduate level courses in hydrology and
2 groundwater modeling at Western Michigan University and I've
3 taken short courses through the National Water Well
4 Association in groundwater modeling.

5 Q And, Mr. Janiczek, when were you first employed as a
6 geologist by either the DEQ or its predecessor agency the
7 Department of Natural Resources?

8 A I began with the department in April of 1978 as a staff
9 geologist in the solid waste program.

10 Q And without going into a lot of detail, what were your
11 responsibilities initially?

12 A Initially I was assigned review of the geotechnical aspects
13 of the solid waste disposal facilities. At that time, it
14 was Act 87 later becoming Act 641.

15 Q So basically solid waste management issues, geotechnical
16 aspects of landfills; is that correct?

17 A Correct.

18 Q And did your responsibilities change over time? Or what was
19 your next role within the DNR?

20 A That group evolved into the geophysical investigative team.
21 We did statewide geophysical investigations looking for
22 groundwater contamination, buried barrels, using electrical
23 resistivity, ground penetrating radar magnetometer,
24 different surface geophysical methods for establishing
25 contamination of groundwater.

1 Q And what was your next position as a geologist within the
2 DNR or DEQ?

3 A My next position was as district geologist in the Grand
4 Rapids district office. The responsibilities there included
5 evaluation of groundwater purge and treat systems relative
6 to preventing the advance of contamination plumes and some
7 involvement in the treatment and discharge of those
8 contaminated waters.

9 Q Okay. What was your next position with the DNR or the DEQ?

10 A Next position was lead worker in the permits -- at the time
11 it was the permit section hydrogeological review unit. And
12 that was a supervisory position or semi-supervisory position
13 for three geologist who were responsible for doing
14 geotechnical evaluations relative to groundwater discharge
15 permits.

16 Q Okay. And looking at your resume, you assumed that
17 responsibility -- is that correct? -- in 1986?

18 A That's correct.

19 Q So beginning in 1986 you were specifically involved in
20 geologic aspects of groundwater discharge permits?

21 A That's correct.

22 Q And have you continued to be involved in that type of issue
23 since that time?

24 A That's correct.

25 Q How, if at all, have your responsibilities in that regard

1 changed over time?

2 A I was -- I became the chief of the hydrogeologic review unit
3 with the permit section in -- it was 1987, 1988, which meant
4 I had direct supervisory responsibility first for a group of
5 geologists and later through reorganizations within the
6 section also supervising soil scientists and toxicologists.

7 Q Okay. And have your responsibilities further changed or
8 have you described -- I take it, sir, your job titles have
9 changed with various bureaucratic reorganizations; correct?

10 A Correct. In 2002, the department reorganized once again.
11 At that time, what was the permit section became the -- was
12 merged into the permit section of the Water Bureau. The --
13 we went from a section to a unit. I was then the unit chief
14 of the groundwater permits unit. Now I supervise a group of
15 geologists, soil scientists and permit staff that are
16 responsible for evaluating groundwater permit applications
17 and ensuring that discharges as a result of those are not
18 injurious to the waters of the state.

19 Q Okay. So to -- Mr. Janiczek, what role, if any, did you
20 play in the development of the -- referred to as the Part 22
21 Administrative Rules promulgated under Part 31 that deal
22 with regulated groundwater discharges?

23 A I was the -- the Part 22 rules -- the original Part 22 rules
24 were issued in 1980. About 1990, the department began
25 efforts to update those rules. And there were a series of

1 three committees, work groups, that were responsible for
2 developing a new set of rules. The work group that begin in
3 1996 was the third and finally successful work group that
4 actually got a new set of rules passed. Those rules were
5 promulgated in August of 1999. And I was the staff
6 person -- I was one of the staff persons assigned to the
7 work group. And primarily Rule 2221 relative to
8 hydrogeology, Rule 2223 -- Rules 2223 and -24 relative to
9 monitoring of discharges and groundwater monitoring and Rule
10 2237, lining systems for wastewater holding lagoons were the
11 ones that I had primary responsibility for.

12 Q In that regard, did you actually assist in the drafting of
13 the rules?

14 A That's correct.

15 Q And were you -- would it be fair to say you were the
16 department's key technical person on the development of
17 those parts of the rules?

18 A For those rules in particular, yes.

19 Q And did you also participate and follow development of other
20 aspects of the rules?

21 A Yes.

22 Q Since -- and I think you said those rules went into effect?

23 A August of 1999.

24 Q Okay. And since they've gone into effect, have you -- what
25 role have you had with respect to their implementation?

1 A From 1999 through 2002, I was the hydrogeologic review unit
2 chief. And therefore I had the responsibility for approving
3 the technical staff's evaluation relative to hydrogeology
4 for permit applications for those facilities that required
5 hydro studies be conducted as part of the permit
6 application. Since 2002, I have been delegated the
7 authority to sign permits, and therefore I've had direct
8 supervision over generally the entire permit review process.

9 Q And with respect to those -- since the current rules went
10 into effect, with respect to those permit reviews or
11 authorization reviews that have involved a hydrogeological
12 study, in what percentage of those permits have you had a
13 role either directly or supervisory in reviewing the
14 department's evaluation of the hydrogeologic aspects of the
15 proposed discharge?

16 A As the hydrogeologic review unit chief in '99 and later the
17 unit chief over the entire program in 2002, I've had to
18 approve virtually every hydro study that's come out of that
19 group.

20 Q And to put that in some perspective, can you give me an
21 order of magnitude as to the number of permits?

22 A On the order of -- with individual facilities, 3- to 500.
23 And that would be -- some of those have been duplicates in
24 that the permit process is such that permits are reviewed
25 every five years. And so for initial reviews, we would

1 require fairly extensive hydrogeologic information. At
2 re-issuance, we will look at -- we will re-review the
3 information, ensure that the initial work done was adequate,
4 review the compliance record of the facility and then also
5 approve the hydro study as a -- or the hydrogeologic
6 evaluation as a result of the renewal application.

7 Q And so to summarize, sir, would it be fair to say that
8 you've been professionally employed by the DEQ or its
9 predecessor agency as a geologist for approximately 30
10 years?

11 A Slightly in excess of 30 years, that's correct.

12 Q And you've had specific day-to-day involvement in
13 hydrogeologic aspects of proposed groundwater discharges for
14 approximately 22 years?

15 A That's correct.

16 Q As was alluded to earlier, Mr. Janiczek, in preparation for
17 your testimony today, you put together a series of slides to
18 help provide some background to your testimony; is that
19 correct?

20 A Yes, I have.

21 Q And those have been marked for identification as
22 Respondent's proposed demonstrative Exhibit 216. One of the
23 first issues, Mr. Janiczek, is I'd like you to briefly
24 address some of the key provisions of the statute that is
25 Part 31 under which this permitting occurs that relate to

1 the process that brings us here today. First of all, are
2 you familiar with a section of the Part 31 that prohibits
3 discharges of injurious substances?

4 A That's Section 3109. 31.09 says the discharger may not
5 directly or indirectly discharge anything into the waters of
6 the state that may be injurious for any of the protected
7 uses of the waters of the state.

8 Q And is there another section that requires a person
9 proposing to discharge waste or waste effluent to get a
10 permit or authorization from the department?

11 A Section 3112 of Part 31 requires that any person who
12 discharges waste or wastewater into the waters of the state
13 has to have a permit from the department.

14 Q And is there another part of the statute that authorizes or
15 provides some authority to the department to establish
16 standards for such discharges?

17 A Correct. Section 3106 of Part 31 requires -- or gives the
18 department the authority to set pollution standards for
19 discharges into the waters of the state be it groundwater or
20 surface water. That authority rests with the director of
21 the Department of Environmental Quality. And currently I am
22 the person designated by the director to establish permit
23 limits to ensure that discharges are not injurious for
24 groundwater.

25 Q For groundwater discharge?

1 A For groundwater.

2 Q And as you've testified earlier, there are some
3 Administrative Rules that govern the issuance of groundwater
4 discharge permits. Have you put together a slide that sort
5 of summarizes different aspects of those rules?

6 A That's correct.

7 MR. REICHEL: Can you please bring up slide 3?

8 Q What's the purpose of this slide, Mr. Janiczek?

9 A This is just to give an overview of the -- broke the process
10 into three categories; the permitting process, the standards
11 to ensure groundwater discharges are not injurious, and then
12 the rules relative to measuring compliance with those
13 standards. The first set, Rules 2208, which are the
14 Administrative Rules, Rules 2218 through 2221 are the
15 requirements for the information -- part of the information
16 that must be provided with the permit, -33 through -37 deal
17 with land application and storage requirements. The
18 standards to ensure discharges are not injurious come from
19 Rule 2204, which is a broader statement of standards. And
20 Rule 2222 with specific groundwater standards and then
21 compliance with those standards are Rules 2223 and -24 deal
22 with sampling requirements and 2227 deals with compliance
23 responsibilities for a facility if they were to violate a
24 permit condition.

25 Q And, Mr. Janiczek, have you put together a series of slides

1 that flush out in a little more detail some of the key
2 provisions of the rules that are outlined in this slide?

3 A Yes.

4 MR. REICHEL: And can we go to slide 4, please?

5 Q Now, does this have to do with the permitting process; is
6 that correct?

7 A This is still part of the permitting process, that's
8 correct.

9 Q And again I don't necessarily need you to read all of this.
10 But is the purpose of this slide to -- what is the purpose
11 of this slide?

12 A The purpose of the slide is again just to demonstrate where
13 each part of the process falls into relative to the rules.
14 Rule 2208 references the Part 21 Rules, which are the rules
15 that deal with the administrative process. Rules 2218
16 through -21, -23, -24, -33 and -36 are technical information
17 that's required as part of a permit. And -37 again covers
18 the design criteria for the storage of wastewater.

19 MR. REICHEL: Can we go to the next slide, please?

20 Q This refers to Rule 2208.

21 A Correct.

22 Q And what are the topics that are covered by that rule?

23 A These are the general topics that are -- that are covered
24 under the Part 22 Rules, things like the permit application,
25 how we process, how we public notice, the general

1 administrative issues relative to permit review and
2 issuance.

3 MR. REICHEL: Can we go to the next slide, please,
4 number 6?

5 Q This talks about Rule 2218. Could you tell Judge Patterson
6 or briefly review what you understand to be some of the key
7 elements of this rule as they relate to the development of
8 groundwater discharge permits?

9 A 2218 is critical in that this is the rule that covers the
10 basis of design for the wastewater treatment system. This
11 is the rule that requires a discharge management plan, so it
12 describes requirements for how the facility will manage
13 their discharge, and it also has a requirement for an
14 operation and maintenance plan so that -- providing guidance
15 for the operator as to how the facility will be operated to
16 stay in compliance with the conditions of the permit.

17 MR. REICHEL: If we can go to the next slide,
18 please, number 7.

19 Q This refers to Rule 2220.

20 A Correct.

21 Q Again without reading the slide, could you please briefly
22 review for Judge Patterson what some of the key requirements
23 of this rule are as they relate to developments of discharge
24 permits?

25 A The Rule 2220 is relative to waste characterization. It's

1 impossible to design a treatment system unless you know
2 exactly what the quality of the wastewater is coming into
3 that system. And this is the rule that governs how that --
4 how the waste is to be characterized. Of particular note
5 here relative to the Kennecott facility is the second
6 bullet, "If the facility is not yet operating, the
7 discharger shall characterize the anticipated discharge
8 using the best available information."

9 MR. REICHEL: Can we go to the next slide, number
10 8, please, which talks about Rule 2221?

11 Q Could you briefly review for Judge Patterson some of the key
12 provisions of this rule as it relates to this site?

13 A Rule 2221 is the rule that governs the hydrogeologic study.
14 Discharges to groundwater are required, of course, not to be
15 injurious. In order to ensure that that occurs on a
16 long-term basis, the rules require that an adequate
17 monitoring system be established in the groundwater to
18 monitored long-term compliance. The hydrogeologic study is
19 required up front to define the characteristics of the
20 groundwater such that that monitoring system can be put in
21 place to make -- to ensure long-term compliance with the
22 rules.

23 Q Mr. Janiczek, I'm sorry. Did you want to --

24 A Go ahead.

25 Q I wanted to ask you specifically about the fourth and the

1 fifth bullets on your slide here and requirements of the
2 rule with respect to the types of information that are
3 required to be included in the hydrogeologic study.

4 A Yes. The basic information required in a hydrogeologic
5 study includes the depth to groundwater, groundwater flow
6 direction, groundwater velocity and, as describe in the
7 rules, a three-dimensional flow path to -- and that gets to
8 knowing where in the aquifer to monitor to measure if there
9 are violations of the groundwater quality standards,
10 mounding, interconnection between aquifers and the existing
11 and background groundwater quality, which are all factored
12 into the development of permit limits in long-term
13 monitoring. The key point here and in the development of
14 the rules is that it was never intended under this rule to
15 require numerical modeling to demonstrate those
16 characteristics.

17 Q If you don't have a model -- numeric model, how do you
18 determine a three-dimensional flow pattern?

19 A Through the -- through the establishment of hydraulic and
20 hydrogeologic parameters through the use of monitoring
21 wells. The three-dimensional flow path implies that you
22 understand the horizontal and vertical gradients within the
23 aquifer. Those can be evaluated and described through the
24 use of wells that are located very close to each other, each
25 one having a screen set at a different depth within the

1 aquifer. That screen measures the potentiometric surface at
2 that location over the screened interval. And what that
3 allows you to do is is to plot whether or not movement
4 within groundwater is horizontal, as is the case in the --
5 in areas of -- away from recharge and discharge areas or
6 vertically downward or vertically upward.

7 Q In other words, talking about putting wells in the ground,
8 measuring water elevations at different locations and
9 developing an understanding of the potential for -- an
10 understanding of how water will flow both vertically and
11 horizontally?

12 A Correct; that's correct. That can be accomplished by
13 analyzing field data rather than going to numeric modeling.
14 In fact, of the approximately 1,000 facilities that we have
15 under permit currently, there was only one facility that
16 actually did numeric modeling, and that was to evaluate a
17 very complex pump system for manipulating groundwater flow.

18 Q Now, one of the other things that you referred to a moment
19 ago was mounding. And there's been some testimony on this.
20 But could you briefly reiterate for Judge Patterson what the
21 issue of mounding is and how it relates to a groundwater
22 discharge such as this?

23 A Rule 2204(2) requires -- has a condition that says that you
24 cannot create ponding or pooling or have runoff from the
25 facility. The mounding evaluation is critical to make sure

1 that, when wastewater is discharged to the ground, that the
2 resulting mound that is going to occur as a result of adding
3 that extra water to the groundwater flow system -- that the
4 rise in that water table does not intersect the surface,
5 that it's always safely below the ground level.

6 Q So as to avoid this ponding, pooling, et cetera?

7 A Correct.

8 MR. REICHEL: Okay. Could you go to the next
9 slide, please, number 9?

10 Q This refers to Rule 2221(6). Could you briefly describe
11 what this rule provides and how it pertains to this case?

12 A 2221(6) is the -- is the ability of the department to waive
13 any or all of the requirements of this rule, the rule for
14 hydrogeologic study, based on the specific site conditions.
15 The department -- our program regulates discharges from 50
16 gallons per day up to a million and a half gallons per day.
17 And so this rule gives us the flexibility to evaluate the
18 data in the field to determine just how much data is
19 required to accomplish the purpose of the rule, and that is
20 to understand the hydrogeologic conditions such that
21 mounding will not occur and we can get rid of the wastewater
22 without having it run off onto adjacent properties and that
23 the long-term groundwater monitoring system will be adequate
24 to measure compliance with groundwater standards.

25 Q Is another way of putting it, sir, that this rule authorizes

1 you and your staff to adjust the hydrogeologic --

2 MR. EGGAN: Your Honor, I would ask these
3 questions be non-leading.

4 MR. REICHEL: I'm sorry. I'll restate.

5 Q I believe you -- to what extent, if any, does this rule
6 allow you and your staff to adjust the -- or the application
7 of the rule requirements for hydrogeo studies to the
8 circumstances of the particular proposed discharge site?

9 A The intent --

10 MR. EGGAN: I'm going to continue to object.
11 That's just another way to ask a leading question. I would
12 ask that the questioning of this witness be non-leading,
13 your Honor.

14 JUDGE PATTERSON: Can you rephrase it?

15 Q Do the rules allow the department to adjust their
16 requirements on a site-specific basis?

17 A This rule in particular gives the department and the
18 technical staff person responsible for conducting the review
19 the ability to evaluate the amount of information and the
20 type of information that is presented on a case-by-case
21 basis pertinent to the conditions in the field.

22 MR. REICHEL: Can we go to slide 10, please?

23 Q This refers to land -- excuse me -- Rule 2233. What is that
24 rule about and how, if at all, does it apply here?

25 A Rule 2233 deals with land treatment of wastewater. And what

1 this -- what this rule indicates at least in 2233(2) is
2 that, if a discharger is looking for credit for additional
3 treatment after discharge by means of land application, that
4 they must use slow rate or overland flow processes. What
5 that means is that you apply wastewater either at a low
6 enough rate or, if the soils are -- have lower hydraulic
7 conductivities, that the water is applied so that it
8 maintains residence time within the upper portions of the
9 soil column so that treatment is accomplished through the
10 plants, soils and soil microorganisms.

11 Q In the circumstances of this permit application, is this
12 something where the permit applicant, as you put it a moment
13 ago, sought credit; in other words, indicated that they
14 proposed to have treatment actually occur on the ground?

15 A No. This is -- this facility is designed under -- pursuant
16 to Rule 2236 which is the rule that deals with rapid
17 infiltration. And that is the type of discharge here. And
18 the department gives no credit for treatment as described
19 crops, soil or soil microorganisms in a situation where
20 rapid infiltration is the method of discharge employed.

21 MR. REICHEL: Let's go the next slide, please,
22 number 11.

23 Q Referring to Rule 2233, what is this rule about and how does
24 it apply here?

25 A This talks about the design of the system, how to -- the

1 types of information that need to be used to evaluate the
2 application rates. It talks about design so that the water
3 is evenly distributed. All the requirements here are
4 established so that the discharge area maintains a long-term
5 efficiency for the ability to accept wastewater without
6 violating the ponding, pooling and runoff requirements of
7 Rules 2004.

8 Q Mr. Janiczek, a moment ago you referred to rapid
9 infiltration. Is there a rule that specifically deals with
10 that subject?

11 A Rule 2236, as I mentioned before.

12 MR. REICHEL: Okay. Could we go to the next
13 slide, please?

14 Q Is that what's discussed in slide number 12?

15 A That's correct.

16 Q Again I don't want to have you repeat this -- what you've
17 already testified to. But what types of soils does rapid
18 infiltration typically apply to?

19 A Granular soils, usually outwash sands, which is what we find
20 at the Kennecott site, glacially -- glacial melt water
21 deposit soils. We don't have many surface gravel deposits
22 but -- so it would be permeable granular soils.

23 Q And -- okay. And was this rule considered in the
24 development of this permit?

25 A Yes, it was.

1 Q Okay. I want to turn to a second topic under the rules that
2 you talked about earlier, and that is provisions in the
3 rules that provide standards to prevent discharges that are
4 potentially injurious to the waters.

5 MR. REICHEL: Would you go to slide 13, please?

6 Q What is the point of this slide or what did you want to
7 communicate to Judge Patterson about this?

8 A The key point here is that generally for purposes of the
9 program compliance is measured in groundwater. When the
10 rules were developed through the late 90's, we modeled them
11 somewhat after the Wisconsin groundwater laws, which in
12 effect establish -- and I think they use the term action and
13 compliance limits. But in effect you determine a set of
14 limitations in the effluent that are designed to achieve
15 groundwater standards. The compliance -- the point of
16 compliance in the rules is in the groundwater.

17 Q And then are there other rules -- and I think you touched on
18 them earlier -- but other rules that are specific sources
19 that guide you and your staff in developing standards for
20 discharges at particular facilities?

21 A That's correct.

22 MR. REICHEL: Can we go to slide 14, please?

23 Q The first reference there is to Rules 2204(2). Could you
24 briefly describe what that rule provides and how it may
25 relate to this site?

1 A Rule 2204(2) has three conditions in it that deal with
2 standards. The first is the discharge shall not be
3 injurious for any of the protected uses of the waters of the
4 state. That's 2204(2)(a). 2204(2)(e), the discharge shall
5 be protective of surface water. And then 2204(2)(f), a
6 discharge shall not create a facility as would be defined
7 under Part 201.

8 Q And what do you understand that to be? What does that mean?

9 A That means that the concentration of the substance in
10 groundwater cannot exceed the generic residential criteria
11 under Part 201.

12 Q And so a generic residential criteria, as you understand it,
13 would mean what? I mean, what sort of --

14 A Those are risk base criteria that, if exceeded, would
15 require the remediation of groundwater.

16 Q If you know, to the Part 201 generic residential for
17 groundwater take into consideration possible exposure to
18 drinking water?

19 A That's correct. The generic residential criteria are
20 designed -- are the -- the Part 201 process looks at
21 different pathways for exposure. The generic residential
22 criteria are the pathway for drinking water.

23 Q And so under this rule, this 2204(2)(f), what does this rule
24 then mean with respect to groundwater quality?

25 A That means that a discharge -- the concentration of the

1 substance in groundwater as a result of the discharge cannot
2 exceed the 201 generic residential criteria.

3 Q Okay. This slide also has a reference to Rule 2222(2).
4 What is that rule about and how -- and how, if at all, does
5 it apply in this situation?

6 A Rule 2222(2) is the rule that deals with the establishment
7 of limits for nitrogen and phosphorus. Nitrogen, in
8 particular, is pertinent relative to the Kennecott
9 discharge. What that rule says is that discharges
10 containing substances capable of being treated by the
11 actions of soil, some soil microorganisms and plants have
12 the following limits. And the limits are described in the
13 rule. As we discussed earlier, this discharge is a
14 discharge by means of rapid infiltration. No credit is
15 given for treatment after the discharge. And because of
16 that, we felt that, rather than 2222(2) applying in
17 establishing the limits for nitrogen since no treatment was
18 taking place due to rapid infiltration, that Rule 2204(2)(f)
19 cannot create -- the rule that says that a discharge cannot
20 create a facility was the appropriate standard to be applied
21 for nitrogen.

22 Q Are you saying that you concluded that this rule that has
23 specific numeric standards for nitrogen where some land
24 treatment is expected -- you concluded that didn't apply?

25 A That's correct.

1 Q So what did you default to, then?

2 A We defaulted to the standard contained in Rules 2204(2)(f).

3 MR. REICHEL: Could we go to the next slide,
4 please?

5 Q There's a reference here to Rule 2222(3). What is this rule
6 and how, if at all, does it relate to this case?

7 A Rule 2222(3) lists six specific substances and have set
8 numeric limits for those substances.

9 Q These are numbers prescribed in the rules themselves?

10 A Numbers prescribed in the rules themselves. These six
11 parameters, aluminum, chloride, sodium, sulfate, iron, and
12 manganese -- these limits are exactly the same as the
13 aesthetic criteria developed under Part 201, generic
14 residential criteria.

15 Q What do you mean by "aesthetic criteria"?

16 A Aesthetic criteria is criteria that's relative to things
17 like taste, odor. These are not health standards. These
18 are standards that are related to the ability -- in the case
19 of iron and manganese to cause staining of fixtures or to
20 discolor the water or to create odor situations.

21 Q So does this relate then to the potential impacts on the use
22 of the water?

23 A That's correct.

24 Q Okay. I'm sorry. Did you want to add anything else about
25 that subgroup?

1 A Again, these are -- these numbers are the same as the 201
2 generic residential criteria, but they are aesthetic
3 standards, not health standards.

4 Q You next in this slide 15 refer to Rule 2222(5)(a). What
5 does this rule provide and how, if at all, does it apply
6 here?

7 A This rule provides the means for calculating a limit in
8 groundwater for inorganic substances -- inorganic substance
9 that was not -- that is not previously mentioned in the
10 rule. So this would not include nitrogen. This would not
11 include the six parameters that are listed in Rule 2222(3).
12 These are generally for the other metals. And what this
13 says is that there is a calculation factoring in background
14 groundwater quality to determine what the limit in the
15 permit should be for those individual substances.

16 Q Okay. Let's back up for a minute and briefly explain the
17 concept of background groundwater quality and how that
18 relates to the Part 22 Rules. In other words, how do we
19 know what background groundwater quality is?

20 A Part of the -- part of the -- as we discussed earlier, the
21 hydrogeology study requires the facility to establish the
22 existing groundwater quality at the time a discharge is
23 proposed. There are concentrations of metals and other
24 substances that occur naturally in groundwater. And so this
25 rule allows the department to factor those existing

1 groundwater quality conditions into the development of
2 limits in the groundwater section of the permit.

3 Q And again this rule talks about having established a
4 background level and you know what the 201 criteria is?

5 A Correct.

6 Q And this instructs you to do what, then?

7 A To calculate a limit based on the background. And what is
8 says is that the concentration shall not exceed halfway
9 between the background groundwater quality and the Part 201
10 generic residential criteria.

11 Q Let's go the next slide. At the outset you talked about
12 there broad categories of the rules, those dealing with the
13 process, those dealing with standards and the section
14 dealing with compliance with standards. Could you briefly
15 outline for Judge Patterson some of the key provisions of
16 the rules that are structured to require -- some of the key
17 provisions of the rules that are set up to assure compliance
18 with the requirements?

19 A Well, starting with Rule 2223, Rule 2223 gives the
20 department the authority to require monitoring. And it
21 says, "In a manner and frequency and for a substance the
22 department specifies is necessary to assess compliance with
23 the rules." So this is the rule that gives us the authority
24 to determine what substances are monitored and at what
25 frequency they will be monitored. It goes --

1 Q And -- go ahead. I'm sorry.

2 A It goes on to say that -- it does allow for the use of
3 indicated parameters.

4 Q What an indicated parameter, sir?

5 A "Indicated parameter" is a measurement of a substance that
6 may or may not be directly related to the parameter that's
7 being measured; which in effect is what's accounted for in
8 2222(3)(c). It's a sampling parameter that can be directly
9 correlated to the concentration of another substance in the
10 discharge. And we'll get into this I think later, but in
11 the case of Kennecott specific conductants fits this
12 criteria. It is a measure of a substance that if held
13 within a given allowable range, and that's how we define it
14 in the permit, will provide information relative to
15 compliance of other parameters within the permit.

16 Q Okay. Based upon a demonstrated correlation between the
17 indicator and these other --

18 A That's correct.

19 Q Okay. Can we go to slide 17, which also talks about Rule
20 2223? And could you highlight what you consider to be key
21 points that may be relevant to this permit?

22 A Again, 2223 talks about groundwater monitoring, again,
23 collecting water quality and water level data; important to
24 understand that -- which way groundwater is moving after --
25 even after the permit is issued. We briefly touched on

1 mounding, but mounding is going to affect the movement of
2 groundwater. And so we need to design a monitoring system
3 to account for those hydraulic impacts. And so that's the
4 purpose of collecting water level data. Water quality data
5 is obvious. That is a direct -- water quality data is a
6 direct comparison of the water quality to limits in the
7 permit. Sampling and analysis plan; so we understand how
8 the facility is collecting data so that the data we get is
9 truly representative of groundwater quality. And then
10 again, it goes -- talks about the design of the well. The
11 well screens based on the hydrogeologic information need to
12 be set at depths in the aquifer where we anticipate the
13 discharge to -- path to migrate in the groundwater.

14 Q You also have a slide on Rule 2224; correct? What does this
15 rule address as it relates to this site?

16 A 2224 addresses where in groundwater compliance is measured,
17 and what this says is -- actually the third bullet is the
18 key one in red, and that is, is that it shall not be more
19 than 150 feet from the point of discharge; and that's in a
20 hydraulically downgradient direction, the direction of
21 groundwater movement.

22 Q So how does this relate to what you testified earlier about
23 the overall approach to monitoring under the Part 22 rules;
24 that is, how compliance is measured?

25 A This is the -- this is the location in groundwater where we

1 measure the ultimate compliance of the discharge with the
2 groundwater quality rules. Our position is and has always
3 been that in -- with the glacial geology of Michigan it is
4 difficult to predict groundwater flow direction because of
5 the changing soil conditions over very, very short
6 distances. And so the rules were established to make sure
7 that compliance takes place in an area close enough to the
8 discharge -- in this case within 150 feet -- so that we have
9 a very good handle from the hydrogeologic study as to what
10 the movement of groundwater is within that known zone.

11 Q You also prepared a slide talking about Rule 2227.

12 MR. REICHEL: Could we go to slide 19, please?

13 Q What does this rule address?

14 A Rule 2227 addresses the discharger's compliance
15 responsibility in the event they were ever to exceed a
16 permit limit. What it -- what this rule says is that there
17 is a prescribed time frame under which they have to notify
18 the Department. There's a prescribed time frame by which
19 the facility has to confirm that the original result
20 actually was an exceedence of a permit limit. And then
21 there's a prescribed time frame by which the facility has to
22 report back to the Department as to what -- the status of
23 that exceedence and what they've done to correct it.

24 Q Would it be fair to say that this rule establishes a minimum
25 set of requirements on each of those topics?

1 A That's correct.

2 Q And have you put together a slide comparing these minimum
3 requirements to the conditions actually imposed in the
4 permit at issue here?

5 A Yes; that's correct.

6 MR. REICHEL: Can we go to slide 20, please?

7 Q Is that what's depicted here?

8 A That is correct.

9 Q Could you brief --

10 A So we've broke this down into the three categories of
11 notification, confirmation and reporting. And if you --
12 what the slide indicates is, is that Rule 2227, the rule
13 itself, requires notification of the Department within seven
14 days of identifying exceedence; within another seven days or
15 14 days from the discovery of the permit exceedence -- the
16 limit exceedence to do confirmation sampling; and then to
17 submit a report within 60 days of that -- of the
18 confirmation sampling. In the case of Kennecott we have
19 reduced those numbers to 24 hours for notification, a second
20 24 hours to do confirmation, and then seven days to submit
21 the report.

22 MR. REICHEL: Could we go to the next slide,
23 please, number 21?

24 Q There's quite a bit of information here, but what -- could
25 you summarize what rule is being discussed here and give an

1 overview of what it provides?

2 A This is the second portion of Rule 2227 having to do with
3 the Department's response to a permit limit exceedence after
4 the facility has done their confirmation sampling and
5 submitted their report. There's a list of actions that the
6 Department can take from changing the monitoring program
7 by -- either by parameter or frequency. The Department can
8 require changes to treatment. In fact the Department can
9 close the facility and the Department can require
10 remediation if the limit exceedences are such that they've
11 gone above remediation criteria.

12 Q Mr. Janiczek, if you recall, are these requirements
13 addressed in the permit that was issued to Kennecott?

14 A These requirements are also contained in -- I believe it's
15 section -- Part 1, section 12 of the permit. They're always
16 enforced; they are reiterated in the permit.

17 MR. REICHEL: Could we please go to slide 22,
18 which refers to Rule 2237?

19 Q What does this address and how is it relevant here?

20 A Rule 2237 are the requirements for the design of a
21 wastewater lagoon or a storage lagoon for wastewater and
22 it -- what it says is, is that if the wastewater being
23 stored in and of itself exceeds any water quality standard
24 it has to have a specific design. And the design really
25 comes from the solid waste program. It's the requirement

1 for a composite liner, which is a two-part liner. The base
2 of that liner can either be natural clay, it can be
3 compacted clay, or it can be a geocomposite. And directly
4 overlaying above that is a flexible membrane liner. And the
5 intent and the background of that rule is that -- and we
6 did -- and I was part of the evaluation of this back in the
7 days when there was actually a water resources commission,
8 but this takes advantage of the low hydraulic properties of
9 the flexible membrane liner, but it also uses the clay as a
10 backup because during construction technique in placing
11 large flexible membrane liners leads to tears and pinholes
12 and the backup liner, the clay component of the composite
13 acts as a seal to reduce the cross sectional layer that's
14 available for leakage.

15 Q And just to follow up on that last point, you mentioned
16 experience has shown that there's the possibility of some
17 problem with the synthetic liner during installation. If
18 you know, are there typically requirements where a permit
19 applicant has to provide plans to assure the quality of the
20 installation?

21 A There are requirements in the rule for the -- for a licensed
22 engineer to certify that the -- and this goes also to the
23 wastewater treatment plant, but the storage structure, which
24 is part of the treatment train, a licensed professional
25 engineer has to certify that they were constructed according

1 to the appropriate standards and as approved in the basis of
2 design.

3 Q Okay. Let's shift gears now to the process of -- the
4 administrative process or reviewing permit applications.

5 MR. REICHEL: Could we go to slide 23, please?

6 Q I think you've touched on most of these before, so -- but
7 what is this intended to depict?

8 A This slide basically depicts the information that is to be
9 included with a permit application in order to make sure
10 that the application is administratively complete, which
11 allows us then to begin our full detailed technical reviews.

12 Q Okay. Let's turn now to the -- more specifically to the
13 proposed groundwater discharge at the Kennecott Eagle Mine.
14 Mr. Janiczek, the record already reflects that the
15 groundwater discharge permit application was submitted to
16 the Department formally in February of 2006. Is that your
17 understanding?

18 A That's correct.

19 Q Prior to that time did you and other water bureau staff have
20 any meetings or discussions with Kennecott Eagle Minerals
21 Company and its consultants?

22 A Yes, we did.

23 MR. REICHEL: And could we go to the next slide,
24 please, slide 24?

25 Q What was the approximate time frame that you can recall

1 these types of discussions?

2 A The full -- early on there were some -- there were some
3 evaluation by our geotechnical staff that was assigned to
4 the project of some early reports, but basically as it
5 evolved, the full permit process, from about August 2005 to
6 February of 2006 we conducted a series of meetings both
7 internally and with the company.

8 Q And the meetings with the company; who initiated those, if
9 you recall?

10 A It was both between ourself -- the staff of the Department
11 and the company.

12 Q Well, first of all, in your experience -- and you testified
13 you've worked on a number of permit application processes.
14 Is there anything unusual about preapplication
15 communications between a prospective permit application and
16 the Department?

17 A No. We offer preapplication meetings to every applicant
18 from the smallest discharge to the largest discharge. The
19 rules themselves and the process can be very complicated,
20 and so we've always found it both in our best interest
21 because of the quality of the application, and in the best
22 interest of the applicant to understand some of the nuances
23 of the permit process and their responsibilities that we
24 meet prior to a permit application so that everybody has an
25 idea of what the process is, what we expect of the

1 applicant.

2 Q So in this instance during this time frame, if you recall,
3 did Kennecott request you or other Department staff to
4 provide some interpretation or further clarification of what
5 it was that you expected would be required as a part of the
6 permit process?

7 A Yes; that's correct. The issues as I had mentioned here:
8 issues of antidegradation under Rule 1098; issues of
9 groundwater modeling relative to the movement -- fate and
10 transport of the discharge once it was introduced into what
11 later became known as the treated water infiltration system.
12 And just the process itself. Those are the types of issues
13 that we would generally discuss -- well, we would generally,
14 but in particular those are issues that were particular to
15 Kennecott.

16 Q I don't want to go off on a tangent, but just to clarify a
17 little bit. Your second bullet -- and a moment ago you
18 referred to this term "antidegradation." Could you explain
19 briefly what you're referring to and -- by that?

20 A Okay. "Antidegradation" -- Part 22 requires discharges be
21 protective of surface water. If you recall Rule 2204(2)(e)
22 said that discharge had to be protective of surface water.
23 Included in that is -- in that sequence of rules that's
24 described in 2204 is the requirement for antidegradation,
25 which is Rule 1098. That is primarily a surface water

1 requirement. This facility -- under normal circumstances
2 the Part 22 rules state that the Department will -- in cases
3 where groundwater vents to the surface water within a
4 thousand feet of the discharge we will refer to the surface
5 water staff for input as to groundwater protection -- I
6 should say groundwater limitations that are protective of
7 surface water. This case, the Kennecott situation, was
8 unusual. It's the only one I'm aware of where the actual
9 venting to surface water occurs in an area approximately 4-
10 to 5,000 feet from the discharge, but because enough
11 hydrogeologic information was gathered prior to the
12 application, the Department made a determination that
13 anti -- that the surface water protection rules, and
14 antidegradation in particular, would apply in this case.

15 Q And I don't necessarily want to at this stage go into the
16 details of that, but that's the context for this discussion
17 of antidegradation?

18 A Correct.

19 Q You indicated a moment ago that there were a series of
20 meeting -- preapplication meetings up to the submission of
21 the application in February 2006.

22 MR. REICHEL: Could we go to the next slide,
23 please, number 25?

24 Q Now, this refers to a February 8th, 2006 preapplication
25 meeting. Could you briefly describe, first of all, what the

1 focus of that meeting was and what, if anything, from your
2 standpoint noteworthy was discussed or reviewed at that
3 meeting?

4 A The February 8th, 2006 meeting occurred approximately two
5 weeks prior to receiving the actual permit application, so
6 it was the final preapplication meeting with the company.
7 And with -- at the meeting this was the first indication
8 that we had gotten from Kennecott Minerals that their -- the
9 treatment system as --

10 MR. EGGAN: Your Honor, I think we're about to
11 hear hearsay about what Kennecott said, and so I'm going to
12 object to that.

13 MR. REICHEL: Your Honor, this is not being
14 offered for the truth of the matter asserted; this is simply
15 to explain what information Mr. Janiczek or other DEQ staff
16 gleaned from Kennecott and how that -- what significance
17 they attached to it.

18 MR. EGGAN: I believe it is being offered for the
19 truth of the matter asserted, and I also think that it's an
20 extremely self-serving comment both in terms of how MDEQ
21 treated it and on behalf of Kennecott. So I would object.

22 MR. BRACKEN: I join with Mr. Reichel. I don't
23 think it's hearsay, because I do not think it being offered
24 for the truth of the matter asserted; just for the purpose --
25 - and we'll find out if Mr. Janiczek's allowed to proceed --

1 purpose of why the Department did certain things in response
2 thereto.

3 JUDGE PATTERSON: I'll overrule the objection.

4 A Can I continue?

5 Q Do you remember the question?

6 A Oh, okay.

7 JUDGE PATTERSON: You can answer if you remember
8 the question.

9 THE WITNESS: Okay. I think I do.

10 A This was the first indication from Kennecott that when the
11 application was going to be submitted that the proposed
12 effluent quality coming from the wastewater treatment plant
13 was going to meet all standards -- virtually all standards
14 prior to discharge. To this point in the Department's
15 review we were looking at groundwater modeling as being an
16 integral part of the review, because we anticipated from our
17 earlier discussions that Kennecott was going to rely on
18 groundwater and the movement of groundwater from the
19 infiltration system to the venting location as part of the
20 treatment process. The application bore out the fact that
21 Kennecott had committed to meeting treatment up front, which
22 meant that for our purposes we would focus our hydrogeologic
23 evaluation to monitoring in the area of the discharge, the
24 treated water infiltration system, and mounding so that we
25 wouldn't have the groundwater or the discharge intersecting

1 the surface.

2 In effect we were no longer discussing fate and
3 transport, sentinel wells, which are wells someplace which
4 are located between the discharge and the ultimate venting
5 point, or what's termed GSI, groundwater/surface water
6 interface, monitoring wells directly at the
7 groundwater/surface water interface. We would focus our
8 monitoring back to what's required in Rule 2224, and that is
9 at 150 feet from the point of discharge.

10 MR. REICHEL: Okay. Could we go to the next
11 slide, 26?

12 Q I mean I think this -- is that essentially what you said,
13 sir?

14 A I think -- yeah, I think I just did slide 26.

15 Q Okay. All right. Let's move forward then to slide 27. The
16 permit application was submitted in February 22nd of 2006;
17 is that correct?

18 A That's correct.

19 Q And if you recall, sir, the application was accompanied by a
20 series of supporting documents and appendices; is that
21 correct?

22 A Correct.

23 Q And in the permit application, what -- at what rate or what
24 volume of processed wastewater did Kennecott propose to
25 discharge to groundwater?

1 A Kennecott proposed to discharge at 504,000 gallons per day
2 of treated processed wastewater, which is the equivalent of
3 350 gallons per minute.

4 Q Is that the maximum they sought?

5 A That is the -- that is the maximum that is -- yes.

6 Q That they proposed?

7 A Yes; that's correct.

8 Q And jumping ahead here, was that -- in the permit ultimately
9 issued was there or is there a limit to that effect in terms
10 of the volume of water?

11 A Yes, there is. The limit in the permit is 504,000 gallons
12 per day. That is the daily maximum allowable discharge
13 volume.

14 Q Okay. And, Mr. Janiczek, you were aware, were you not, that
15 at the same time that Kennecott was applying for this Part
16 31 permit application it submitted other permit applications
17 to DEQ?

18 A Yes.

19 Q Including --

20 A A mining permit, air quality permit, and lease applications
21 with DNR leasing arrangements.

22 Q And in reviewing the application the focus of the proposed
23 discharge was to -- strike that. What's the location where
24 Kennecott proposed to discharge; in other words, --

25 A The location is described as the treated water infiltration

1 system, or "TWIS" as it came to be known.

2 Q It's been suggested both in the petition -- certainly in the
3 petition that there are certain other discharges, so called,
4 that should be but are not regulated by this permit. Do you
5 recall reading that in the petition, sir?

6 A Yes.

7 Q And are there -- in your consideration of this were there
8 any provisions of either the Part 22 rules or other laws
9 that you took into consideration in evaluating that?

10 A Yes.

11 MR. REICHEL: If we could go to slide 28, please.

12 Q Could you -- there's a reference there to Rule 2210(w).
13 Could you first describe what that rule is about and your
14 understanding of it as it relates to this situation?

15 A What that rule -- the Part 22 rules include a rule entitled,
16 "Exemptions." It's Rule 2210. Rule 2210(a) through (x) are
17 a series of activities or discharges that are in effect
18 authorized without requiring the discharger to notify the
19 Department or to submit an application. They are simply
20 authorized by rule. Under Rule -- there's a separate
21 authorization under Rule 2210(y) which does require a
22 Department evaluation process to evaluate the significance
23 of the discharge and whether there's minimum potential for
24 injury. But all the discharges that are listed up until (x)
25 are exempted by rule. Rule 2210(w) says that a discharge

1 that is authorized through another permit issued by this
2 Department or another department is exempt from obtaining a
3 permit from -- under Part 22.

4 And so it was our conclusion that through Rule 409
5 of Part 632, which is the rule that authorizes the operator
6 to manage the mine in such a manner to -- as it states to
7 minimize actual and potential adverse impacts on groundwater
8 and surface water by preventing leaching or runoff of acid-
9 forming waste products. We interpreted that to mean that
10 there was authorization for work within the mine, including
11 some incidental utility water, that was authorized under
12 Part 632 and, therefore, did not require a Part 22 permit.

13 Q And again, your focus is on activities within the mine
14 itself regulated under Part 632?

15 A That's correct.

16 Q And you're not suggesting, of course, that this -- strike
17 that. Okay. Once the application was submitted to the
18 Department, were you responsible for assigning or delegate -
19 - assigning various DEQ staff to review different aspects of
20 it?

21 A That's correct.

22 Q And have you put together a slide or a series of slides
23 summarizing who you brought to work on this project?

24 A Yes.

25 MR. REICHEL: Could we go to slide 29, please?

1 Q Does this -- could you briefly walk through this, please?

2 A The process -- when an application comes in I will prepare a
3 transmittal sheet for the secretary for entering some data
4 into our database, and at the same time make technical
5 assignments. And in this case the permit writer that was
6 assigned was Jeanette Bailey and her areas of responsibility
7 included Rules 2218, 19 and 25. The geologist who was
8 assigned to review this project was Eric Chatterson. His
9 responsibilities included Rules 2221, 23 and 24. The soil
10 scientist assigned to the project was Mr. Robert Deatruck,
11 who evaluated Rules 2233 and 36.

12 MR. REICHEL: Okay. And go to the next slide,
13 please.

14 A The basis of design was assigned to our district engineer in
15 the U.P. district, Kristen Mariuzza, who -- that was
16 responsible for evaluating compliance with Rule 2218.
17 Kristen also had some involvement in the antidegradation.
18 Antidegradation has a requirement -- in this case for
19 mercury -- for what's called best technology in processed
20 treatment, BTPT. And she was involved in that evaluation.
21 Surface water -- actually, the surface water assignment came
22 later. The application came in in February. Until we had
23 adequate information -- our process is such that the surface
24 assessment section is a separate group from the permit
25 section. They act in fact as technical consultants. And so

1 we actually didn't refer that or make a request for a review
2 from surface water section until May 11th of '06,
3 approximately two and a half, three months later, and that
4 was assigned to Sara -- it's now Sara LeSage; it was Wolf at
5 the time. And antidegradation, the Rule 1098 evaluation,
6 was handled by Dan Dell, Jerry Saalfeld, Steve Casey, Asad
7 Quraishi, and Kristen Maruizza. Now, Dan Dell and Asad
8 Quraishi work in the permit section. Those are people who
9 are involved in the MPDES program and routinely do
10 antidegradation evaluations. It's not an area that the
11 groundwater permits unit gets involved in very often, so we
12 relied on their expertise in that case. Jerry Saalfeld,
13 Steve Casey and Kristen Maruizza would be looking at some of
14 the engineering aspects.

15 Q And while we're on the subject of organization, although
16 it's not addressed in your slide, in terms of the overall
17 structure of the water bureau and permitting for both
18 groundwater and surface water discharges, who oversees that
19 process?

20 A The --

21 Q I'm sorry. I'll withdraw that question. Who is Bill Creal
22 and what does he do?

23 A Bill Creal is the section chief of the permit section. That
24 permit section includes two permitting functions: the
25 groundwater permitting function and the surface water or

1 MPDES permitting function. So Bill is the section chief
2 over both programs. He is ultimately in charge of both the
3 groundwater and the surface water discharge programs.

4 Q And so would he have supervisory -- strike that. And was
5 Mr. Creal involved directly in some aspects of this process,
6 both before and after the application was submitted?

7 A Yes, he was.

8 MR. REICHEL: Okay. Let's go to the next slide,
9 please.

10 Q This is a lot of information here. I don't know if we want
11 to spend much time on this. It's a flow chart. Could you
12 describe what you're trying to depict here without going
13 through each box? I mean, what's the point of this?

14 A The point of this slide is to -- just to give an overview of
15 assignment responsibilities amongst the technical staff as
16 part of the administrative completeness review process.
17 When an application comes in I usually -- I'm usually the
18 second person to touch the application. I will do a cursory
19 review to see whether the gross elements are present;
20 whether the hydro study is in the application, basis of
21 design. But then that is deferred -- is assigned to
22 technical staff to do the detailed evaluations to determine
23 whether or not there's truly enough information from a
24 technical perspective to make a permit decision.

25 Q And that was the process that was followed here?

1 A And that's what this slide depicts, that review process.

2 Q Okay. Let's go on to the next slide, number 32. And this -

3 - well, what does this indicate by way of summary?

4 A Excuse me. This summarizes the review -- the technical --

5 the review by technical staff and determination of whether

6 or not the application was administratively complete. That

7 is a 30-day process that is required in Part 31 and it's --

8 the 30-day process is required relative to refunding of fees

9 if we don't complete that within the prescribed time frame.

10 MR. REICHEL: Could we please go -- if we could

11 minimize this for a minute and go to Respondent's Proposed

12 Exhibit 159?

13 Q As indicated I think in your slide a moment ago and in your

14 previous testimony, did you or other -- did Department staff

15 identify certain items that you believed in certain respects

16 in which the application was not complete?

17 A That's correct.

18 Q And did you communicate that initial determination to

19 Kennecott?

20 A Yes, we did.

21 Q Okay. We have up on the screen what we've marked as

22 Respondent's Proposed Exhibit 159. Do you recognize this

23 letter?

24 A Yes. This is the March 22nd letter to the company

25 indicating that it was our determination that the permit

1 application was administratively incomplete.

2 Q I'm not going to ask you to go through this, but if we just
3 pause there, does this letter, if you recall, sir, identify
4 a series of issues that the Department identified where
5 additional information was determined to be necessary?

6 A Yes, it does.

7 Q And was, to your know, this actually communicated to
8 Kennecott?

9 A Yes.

10 Q And do you recall whether or not the permit applicant
11 responded to that March 22nd --

12 A There were a series of responses to the -- to this letter.

13 MR. REICHEL: Could we go to Respondent's Proposed
14 Exhibit 160?

15 Q And just for the record, what's the heading on this letter
16 in terms of the date?

17 A The date is April 7th, 2006. And it's -- the title is,
18 Kennecott Eagle Project: Response to MDEQ comment letter
19 dated March 22nd, 2006."

20 Q Okay. If you recall, sir -- I don't necessarily want to go
21 through the details of this. Does this, if you recall, sir,
22 refer to some attached responses or detailed responses?

23 A Yes.

24 MR. REICHEL: And if we could go Respondent's
25 Proposed Exhibit 161. I'm sorry. 164.

1 Q What is -- do you recognize this document, sir?

2 A This is another response from Kennecott addressed to Ms.

3 Jeanette Bailey who was the permit writer and permit

4 coordinator on the project. And the title was, "Additional

5 responses to MDEQ comments."

6 Q Okay. And again, is this a further response, as you

7 understand it, to the March 22nd, 2006 letter?

8 A That's correct.

9 Q And were there other documents attached to this as you

10 recall?

11 A Yes.

12 MR. REICHEL: Okay. Could we get back to the

13 slides, please, number 33?

14 Q What's the purpose of this slide?

15 A The purpose of the slide is to simply summarize the areas

16 where staff felt we had insufficient information to make a

17 permit decision.

18 Q Okay. And so these were issues that were raised in that

19 March 22nd, 2006 letter?

20 A That's correct.

21 Q Sort of a quick summary of some of those concerns?

22 A That's correct.

23 MR. REICHEL: Could we go to the next slide,

24 please?

25 Q And is this a continuation of that?

1 A Yes, it is. These are a continuation of the issues that
2 were still deficient at the time of the application.

3 Q And those -- could you just briefly mention them?

4 A Discharge management plan was inadequate to provide
5 direction for the operation of the treatment -- treated
6 water infiltration system. We were still looking for -- as
7 part of the surface water assessment section review and
8 establishing of the surface water limits. We were looking
9 for total organic carbon information and hardness. And we
10 were -- relative to antidegradation we were looking for
11 additional social and economic benefits: state of the
12 economy, all the social issues that were -- are related to
13 the antidegradation demonstration.

14 Q Is this related to Rule 1098?

15 A Under Act 1098, yes.

16 MR. REICHEL: Okay. Could we go to the next
17 slide, please, number 35?

18 Q I think we've already touched on some of this, but what is
19 summarized in this slide in terms of the process?

20 A This is the summary of the Kennecott responses to the March
21 22nd deficiency and leading to the August 8th, 2008 (sic)
22 determination by the Department that the application was now
23 administratively complete and technical reviews would begin.

24 Q And that administrative completeness -- and this slide
25 references certain proposed exhibits in this case; is that

1 correct?

2 A Correct.

3 Q Okay. And the August 6th -- excuse me -- August 8th, 2006
4 letter was the one in which -- was that where DEQ notified
5 Kennecott that it had determined that the application was
6 now complete?

7 A Yes.

8 MR. REICHEL: Okay. Could we go to the next
9 slide, please, number 26?

10 Q And again, this is a rather -- a lot of information here;
11 it's another flow chart that has at the top,
12 "Administratively complete," and then a series of arrows.
13 I'm not going to ask you to go through all of this, but
14 could you just briefly indicate or explain what the point of
15 this is or what you were trying to depict?

16 A Yes. This is -- again, this is the -- this now addresses
17 the issue of actual technical reviews, who was assigned to
18 that particular task; whether there was additional exchanges
19 of information after the determination of administrative
20 completeness leading to each individual technical person's
21 summary and approval of their respective portion of the
22 permit application leading to a draft permit.

23 Q Okay. And then let's -- do you in some succeeding slides
24 present perhaps in more legible form the summary of the
25 input that you got from other department staff on the

1 various issues they were assigned to review?

2 A Yes.

3 MR. REICHEL: Could we go to slide 37, please?

4 Q And again, this lists a series of dates and exhibits. Is
5 this basically a listing of the briefings or technical input
6 that you and the permit writer got from staff assigned to
7 review different aspects of the application?

8 A That's correct. Our process is set up that once a technical
9 staff person has completed their review they prepare a
10 technical memo describing the background for their approval
11 of their particular area of responsibility.

12 Q And again, could we just -- I don't want to go into a lot of
13 detail, but could you just highlight from this -- either
14 from memory or from this slide the staff involved in this
15 process?

16 A Mr. Deatruck was assigned to the review of Rules 2233 and
17 36, discharge management plan. His was the first memo to
18 come through. In November Sara Wolf-LeSage provided the --
19 provided Jeanette Bailey with recommendations for ethyl
20 limits relative to surface water protection. December '06
21 Kristen Mariuzza, who was the district engineer in the U.P.,
22 provided her approval of the treatment system through her
23 basis of design memo. January of '07 Eric Chatterson, who
24 was the geologist -- hydrogeologist responsible for
25 evaluating the geology and monitoring portion of the

1 application provided his approval. And February of '07 Dan
2 Dell, who is in -- works in the permit section, provided the
3 antidegradation checklist approval.

4 Q So once the staff had provided their inputs to you and the
5 permit writer, Ms. Bailey, was a draft -- well, the permit's
6 then actually drafted?

7 A An initial draft was prepared; that's correct.

8 MR. REICHEL: Could we go to the next slide,
9 please?

10 Q This says, "Draft permits from December of '06 through
11 February of '07." Was there just one draft or were there
12 various iterations?

13 A Actually there were ten iterations of the draft permit based
14 on meetings between staff, based on additional information
15 and discussions. We ultimately went through ten separate
16 internal drafts of the permit before we had felt we had
17 draft that was ready for public notice.

18 Q Okay. And you alluded to this earlier. Under the rules
19 that govern the issuance of water discharge permits there
20 are requirements for public notice and opportunity to
21 comment; is that correct?

22 A That's correct.

23 Q And did you and other Department staff follow the -- what
24 you understood to be those procedures?

25 A Yes.

1 Q And do you have a slide or a series of slides summarizing
2 the public participation process that the water bureau
3 followed with respect to the Part 31 permit?

4 A Yes; yes.

5 MR. REICHEL: Could we go to slide 39, please?

6 Q Okay. This is about that public participation process?

7 A That's correct.

8 Q So what mechanisms, if you recall, did the DEQ use to make
9 available to the public about the proposed groundwater
10 discharge permit?

11 A Well, these were concurrent permit reviews that were going
12 on between three programs. The office of geologic survey,
13 air quality division, and the Water Bureau. And so on
14 August 6th of '07 the information for public review was
15 posted on the office of geologic survey website. The
16 geologic survey -- office of geologic survey had a website
17 that had been up for quite some time allowing the public
18 input into their process. Once we had draft permit we
19 joined in in that website to include our draft permits. And
20 so that contained the overarching document describing the
21 process, all of our -- when it says "fact sheets," this
22 would have been our technical memos from staff as they
23 approved each portion of the application. And then the
24 proposed terms and conditions.

25 MR. REICHEL: Okay. Could we go to the next

1 slide, please?

2 Q And what does this summarize, what further steps?

3 A This summarizes the newspaper public noticing process. The
4 notice of public comment period and hearing was announced on
5 July 31st, August 9th and August 23rd of 2007 in the
6 Marquette Mining Journal and the notice contained some
7 information about the process, but also references to where
8 the public could get additional information if so desired.

9 MR. REICHEL: And could we go to the next slide,
10 number 41?

11 Q And what does this -- could you summarize what steps in the
12 process are listed here?

13 A The Department allowed for a 28-day public comment period
14 and also held a series of public hearings. The public
15 hearings were conducted from September 10th through 14th in
16 both Marquette and Gwinn. The Marquette public meeting was
17 held on the 10th. Because of logistics the public meetings
18 on the 11th -- on the 11th through the 14th were at the --
19 it was in Gwinn; the recreation hall in Gwinn next to the
20 district office. And September 19th of '07 a public hearing
21 was held in Lansing.

22 Q And you put together another slide summarizing the level of
23 public participation?

24 A Some information on public -- we --

25 MR. REICHEL: Could we go to slide 42, please?

1 A In Marquette the meeting that was held on that Monday, there
2 were approximately 700 people in attendance. Approximately
3 200 people attended the hearing -- the series of four days
4 of hearings in Gwinn; 150 in attendance at the Lansing
5 public hearing. We received approximately 3500 written
6 comments. Now, that's for all the programs, that's not just
7 water bureau. That's combined between DNR, air, office of
8 geological survey and the water bureau.

9 Q Mr. Janiczek, did you and other staff -- water bureau staff
10 review and consider both oral and written comments submitted
11 by members of the public as they related to the Part 31
12 permit?

13 A We reviewed every comment relative to the groundwater
14 permit, yes. The Part 31 permit.

15 Q And having completed that review, did you or your staff
16 ultimately put together a compiled response to public
17 comments by different branches of the DEQ?

18 A The Department put together a responsiveness document that
19 was 138 pages long of which approximately 40 pages of that
20 were directly related to water bureau issues.

21 Q Okay. And is that what's --

22 MR. REICHEL: Could we grab slide 43, please?

23 Q Is that what you're talking about there?

24 A Yes. I'm sorry.

25 Q And have you put together some slides identifying specific

1 actions that the Department took, and more specifically the
2 water bureau took with regard to changes in the draft permit
3 based upon public comment?

4 A Yes.

5 MR. EGGAN: Your Honor, and with respect to Mr.
6 Reichel, might this be a good time for a break? We've been
7 at it about an hour and a half.

8 MR. REICHEL: Certainly.

9 MR. EGGAN: Even if it's two minutes?

10 MR. REICHEL: No, that's fine.

11 JUDGE PATTERSON: Time flies.

12 (Off the record)

13 Q Mr. Janiczek, when we took our break I was just asking you
14 about whether or not you had prepared some slides
15 summarizing changes that you indicated were made by the
16 Department to the draft permit as a result of the public
17 participation process?

18 A That's correct.

19 Q And I believe you testified you prepared some slides
20 summarizing those?

21 A Yes.

22 MR. REICHEL: Can we go to slide 44, please?

23 Q Could you briefly review or highlight the changes that the
24 Department made to the permit based on public comment?

25 A The first is contained in Part I, Section 4. And that was

1 the inclusion of numerical limits in groundwater for a
2 series of substances, particularly metals, that were
3 previously regulated by rule. The standards were -- by
4 reference were already there. But in this case we added
5 numerical limits to actually describe those in the permit.

6 Q Can I just interrupt you there to ask you to clarify
7 something? When you talk about "enforced through rule," are
8 you saying that this permit requires compliance with rules
9 under --

10 A Yes.

11 Q The Part 22 Rules?

12 A Yes. In particular, either Rule 2204(2), which says that --
13 which states that a discharge cannot create a facility, or
14 Rule 2222, which has specific standards. Even if the permit
15 as written simply contained the word "report," the rule that
16 applied to that parameter and the standard associated with
17 that would still be in force.

18 MR. REICHEL: Can we go to the next slide, please?

19 Q What additional changes have you identified based on public
20 comment?

21 A Part I.12 of the permit was a clarification. As we noted
22 before, the compliance responsibilities of the applicant in
23 the event a permit limit was exceeded -- we clarified that
24 the report that was due, explaining what was done about
25 correcting the exceedents, would come -- would be due seven

1 days after confirmation sampling, rather than the initial
2 result. In Part I.12, we also added specific language from
3 Rule 2227. Again, these are -- these are requirements that
4 were in force by rule previously, but we simply added the
5 three items that are listed there; that is, reduce or
6 specifically eliminate the use of a substance, closure of
7 the facility -- those two were added. Again, they don't
8 normally appear in the boilerplate in our permits. They
9 were added specifically to this case based on public
10 comment.

11 Q And again, are these -- in the rules under the permit, are
12 these things that a permit can require?

13 A Yes.

14 MR. REICHEL: Can we go to slide 46, please?

15 Q Could you explain what changes are identified here?

16 A We added a definition for "by-pass," clarifying that this is
17 only to include the discharge of effluent that does not meet
18 permit limits. The company had made a -- Kennecott had made
19 a request as to clarification of the term "by-pass." If for
20 some reason a particular waste stream, prior to going
21 through the treatment system, had already met all the
22 standards and all the limitations that were in the permit,
23 would that necessarily be considered a by-pass? And in this
24 case we said no. As long as all limitations were met up
25 front, that wouldn't necessarily by definition be a by-pass

1 of the treatment system.

2 Q And what's the next change?

3 A Part III, Section 1, it clarified -- our usual language says
4 that "this permit does not authorize discharge surface
5 waters." In this case the hydrogeologic study demonstrated
6 that there is venting to the surface water at some distance
7 from the discharge. We simply added the term "direct
8 discharge to surface water" in the -- in that statement in
9 Part III.

10 MR. REICHEL: Can we go to slide --

11 Q Did you want to add something?

12 A No.

13 MR. REICHEL: Slide 47, please.

14 Q Could you continue with the list of identified changes?

15 A This was a change made to Attachment I, which is a table
16 contained in the permit of expected effluent quality coming
17 from the treatment plant. And we simply added a footnote
18 explaining the purpose of the list. People were very
19 confused about what table -- what the Attachment I really
20 meant. And we put a clarifier on there that simply
21 indicated that this was the effluent quality that was
22 expected to be coming out of the wastewater treatment plant.

23 Q And can you address the last bullet on page 47?

24 A Yes. The last bullet says, "The language in Part I, Section
25 10.d specifies how compliance with the limits in Attachment

1 I will be addressed." Attachment I, again, describes the
2 expected effluent quality coming out of the treatment plant.
3 All of those numbers, all those values are less than -- in
4 fact, in most cases quite a bit less than the standards that
5 would be applied to groundwater. What Part I, Section 10.d
6 is, is a notification requirement that states that if the
7 facility, in their effluent monitoring, ever exceeds five
8 times the level of the parameters in Attachment I, then the
9 Department can require them to do -- to take certain
10 actions, including increasing the monitoring and
11 modification of the wastewater treatment plant.

12 Q And ultimately the groundwater discharge permit was issued
13 when, sir?

14 A December 14th, 2007.

15 Q And again, you've already testified you were the one -- by
16 virtue of a delegation from the director, you actually
17 signed this permit?

18 A That's correct.

19 Q And in doing so, Mr. Janiczek, did you make any
20 determination that in your judgment -- as to whether or not
21 the permit as issued did or did not meet the requirements of
22 Part 31 and the Part 22 Rules?

23 A That was -- the basis for my signature was the fact that it
24 was my opinion, as it is my responsibility, that all the
25 limitations in that permit, both direct numerical and by

1 rule reference, were such that the discharge in compliance
2 with that permit would not be injurious to groundwater or
3 surface water.

4 Q And did you otherwise -- did you make any determination as
5 to whether, in addition to the effluent or the discharge
6 requirements, whether the permit otherwise satisfied the
7 applicable requirements of the Part 22 Rules?

8 A Yes.

9 Q And what was that determination?

10 A That the -- with regards to volume?

11 Q Not specifically. I guess what I'm asking you -- I think
12 this was implicit in your decision, but I just want it to be
13 clear. Is it or is it not your belief that the permit as
14 issued satisfies the requirements of the Part 22 Rules?

15 A Yes. The Part 22 Rules and Part 31 of Act 451.

16 Q Let's talk now about limitations in the permit. First of
17 all, I think you touched on this, but what -- does the
18 permit limit the amount of water that can be discharged?

19 A Yes. The limit is 504,000 gallons per day as a daily
20 maximum.

21 MR. REICHEL: And could we go to slide 49?

22 Q And what was the basis of that?

23 A The application from the facility.

24 Q To put this as simply as possible, under the terms of the
25 permit is there any condition or provision in the permit

1 that would allow Kennecott to discharge in excess of that
2 limitation?

3 A No.

4 MR. REICHEL: Can we go to slide 50, please?

5 Q Does this slide summarize conditions in the permit regarding
6 treatment?

7 A Yes, it does.

8 Q And could you briefly review those?

9 A This basically -- this section of the permit basically says
10 that the wastewater must be treated according to the basis
11 of the design that was submitted as part of the application
12 and ultimately approved by the staff person, in this case
13 Kristen Mariuzza, responsible for approving the basis of
14 design. The wastewater treatment plant, at least in flow
15 chart, is described in Attachment 6A and -B of the permit;
16 that under the mining permit, the engineering plans for the
17 design of the system must be approved by the Department and
18 that once the facility is constructed, construction must be
19 certified by a licensed professional engineer.

20 Q Does the permit as issued contain some requirements related
21 to treatment system operation?

22 A Yes, it does.

23 MR. REICHEL: Can we go to slide 51, please?

24 Q And could you briefly outline those requirements?

25 A Part I.5.c is the requirement for the operation of the

1 maintenance manual, which is described in Rule 2218. That
2 is required as a schedule in the permit. Those usually
3 don't come prior to permit issuance, in that they're
4 developed in accordance with a specific design and operation
5 of the treatment system. Part I.6 of the permit deals with
6 operator certification pursuant to Rule 3110 -- or I'm
7 sorry. It's not "Rule" -- pursuant to Section 3110 of Part
8 31, the law requires that a certified operator be in charge
9 of operating the system. And then Part I.7 deals with
10 facility operation and maintenance, a series of inspection
11 requirements to make sure that the facility -- the treated
12 water infiltration system is maintained and inspected, so
13 that it meets the criteria such as two feet of freeboard;
14 that it continues to take water; that we don't have ponding
15 and pooling; those types of issues.

16 Q I'd like to turn now, Mr. Janiczek, to considerations that
17 you and your staff made in developing specific permit
18 limits.

19 MR. REICHEL: Could we go to slide 52, please?

20 Q It says the heading, "Hydrogeologic Considerations." Could
21 you explain what hydrogeologic considerations of a general
22 nature went into the development of the limits in this
23 permit?

24 A Well, our initial determination of course was that the
25 groundwater actually did vent to surface water,

1 hydraulically downgradient from the treatment water
2 infiltration system at a distance of approximately 4- to
3 5,000 feet from the actual discharge location. The
4 receiving water, the headwaters of the tributary of the
5 Salmon Trout River, were evaluated under zero flow
6 conditions, meaning that there was no credit given for
7 mixing the surface waters, so the numbers are the most
8 conservative surface water limits that could be developed in
9 the situation.

10 Q Can I interrupt you there just to explain further? When you
11 talk about -- what is your understanding of how, in the
12 course of developing standards for protection of surface
13 water, to what extent the amount of flow in the water to
14 which the discharge is to occur, the surface water is taken
15 into account?

16 A Well, that's more -- I mean, that's more of a question that
17 would be directed to our Surface Water Assessment Section
18 staff. The evaluations by that staff are based on the
19 amount of flow in the receiving water. The greater the
20 flow, the higher the standard because of mixing. Mixing is
21 a concept that is generally allowed in surface water, so
22 that the limitation would be higher, based -- as it relates
23 to flow, based on the volume of flow in the receiving water.

24 Q In this case, as you and other staff were proceeding with
25 the development of permits, essentially what assumption was

1 made with regard to whether there would be any surface water
2 to mix with, in terms of a possible upward movement of
3 allowable contaminant levels?

4 A My understanding is that the surface water calculations were
5 based on a situation where venting groundwater would be 100
6 percent of the flow in that stream.

7 Q And to your understanding -- recognizing that you didn't
8 develop this, to your understanding is that a -- is that or
9 is that not a conservative assumption?

10 A That is a very conservative assumption.

11 Q Could you go to the third bullet, please?

12 A The third bullet. The effluent quality as proposed in
13 Attachment 1 is -- and the parameters that are limited in
14 Part I.2 of the permit, "Final Effluent Limitations" are
15 protective of both groundwater and surface water.

16 MR. REICHEL: Could we go to the next slide,
17 please? Number 53, which talks about water quality
18 standards.

19 Q Could you explain to Judge Patterson what you wanted to
20 depict in this slide or what you wanted to present?

21 A Yeah. This slide is simply intended to point out that for
22 purposes of the groundwater discharge permit, that for every
23 parameter that is monitored, that has either -- has a water
24 quality standard either in surface water or groundwater,
25 there is either a numerical of it or a limit that is

1 referenced by rule that would apply to that parameter, so
2 that there is some control, either direct numerical
3 limitation or by rule reference, of every parameter that has
4 a standard that's been developed by the Department.

5 Q So to the extent that it's been suggested in prior testimony
6 in this case that the permit as issued does not regulate the
7 discharge of certain parameters, would you agree or disagree
8 with that?

9 A I disagree. The parameters are regulated through that
10 permit.

11 MR. REICHEL: Could we go to slide 54, please?

12 Q Could you explain what aspects of the permit you're trying
13 to summarize here, as it relates to the implementation of
14 the permit once the system is set up and ready to operate?

15 A This slide 54 covers the effluent limitations as it relates
16 to the initial and final limitations.

17 Q And when you talk -- I'm sorry, sir. When you talk about
18 initial limitations, what's the context for that?

19 A The limitations for effluent are broken up into two
20 sections. Under the initial effluent limitations which
21 apply for at least 90 days, the facility is required to do a
22 pilot study. And under that pilot study they are to operate
23 the treatment system to demonstrate that they can meet the
24 effluent limitations that are contained in Part I.1 of the
25 permit and the expected effluent quality that's tabulated in

1 Attachment I.

2 Q And given the way the permit is written, as this initial run
3 of the system is conducted, does the permit authorize the
4 discharge of that water from this initial -- as you called
5 it, pilot period? Does the permit authorize that water to
6 go into the ground?

7 A No. The permit specifically prohibits any discharge to the
8 treated water infiltration system until the facility has
9 demonstrated that the treatment plant can achieve the
10 limitations contained in Part I.1 and Attachment I.

11 Q So if the treatment system is running, what happens to the
12 water that's coming out the back end?

13 A They would have to store that water until such time as the
14 treatment system had demonstrated that it could meet the
15 limitations.

16 Q And during this -- under the initial effluent limitations,
17 what frequency of sampling analysis is required?

18 A That's a two-part -- actually a two-part question.

19 Q Okay.

20 A For each individual parameter -- specific parameter, within
21 the -- within Part I.1, the facility is required to do daily
22 sampling. The permit also requires the real-time,
23 continuous testing of specific conductants. And as we
24 discussed earlier, "specific conductants" is the indicator
25 parameter for the treatment system. The company is required

1 during this pilot study to develop what's referred to in the
2 permit as the allowable operational range. It is the range
3 of specific conductants' values under which the facility has
4 demonstrated that the treatment system can achieve the
5 limitations in Part I.1 and Attachment I, the expected
6 effluent quality.

7 Q And to make this demonstration, does the company -- or
8 contractors have to establish some correlation between
9 specific conductants' measurements and the chemical
10 characteristics of the effluent?

11 A That's exactly what the intent of the pilot study is to do,
12 so that --

13 Q And it --

14 A -- so that, as the -- if the pilot study demonstrates the
15 capability of the treatment system to meet those
16 limitations, but our monitoring frequencies change. And
17 we'll actually talk about that here in a second.

18 Q But again, does the demonstration you've just talked
19 about -- until that demonstration is made, is the permittee,
20 Kennecott, allowed to actually discharge treated water into
21 the ground?

22 A No.

23 Q Could you go now and talk about the remainder of the slide,
24 the final effluent limitations, and explain what you mean by
25 that and how that's implemented in the permit?

1 A The final effluent limitations are the set of limitations
2 that apply once the permittee has demonstrated that they can
3 achieve the limitations described in Part I.1 and Attachment
4 I. At this point they are allowed to discharge to the
5 treated water infiltration system up to 504,000 gallons per
6 day. Sampling frequencies for individual parameters now
7 change to weekly or monthly. And the facility must
8 continue, however, to sample specific conductants on a
9 continuous, real-time basis. There are conditions in the
10 permit that state that if the facility ever falls outside
11 that operational range for conductants that was determined
12 in the pilot study, that what the facility must then do is
13 revert to daily sampling for individual parameters and make
14 a demonstration to the Department that the excursion from
15 the allowable operational range has not caused an individual
16 parameter to exceed a permit limit; and if it has, to take
17 the steps necessary to upgrade the treatment system.

18 MR. REICHEL: Can we go to slide 55, please?

19 Q What are the permit conditions and limitations relating to
20 monitoring?

21 A Well, in this case, this slide is specifically in reference
22 to groundwater monitoring. There are two groups of wells
23 that are -- that are listed in the permit: Part I.3 of the
24 permit, which is the groundwater monitoring limitations for
25 the hydraulically upgradient monitoring wells. And really

1 there are -- initially there are no numeric limitations in
2 this section of the permit. This is theoretically the
3 quality of water that's coming onto the site from offsite
4 and passing through underneath the treated water
5 infiltration system.

6 Q In other words, it's essentially the background into which
7 the discharge is occurring?

8 A That's correct. That's pre- -- and that's exactly correct,
9 prior to discharge.

10 Q And what does condition -- or Part I.4 address?

11 A Part I.4 is for the hydraulically downgradient monitoring
12 wells and numerical limitations. There are numerical
13 limitations in that section of the permit. In both cases
14 groundwater is monitored on a quarterly basis. So we have -
15 - so the monitoring system in effect is continuous
16 monitoring of conductants within an allowable operational
17 range, weekly and monthly monitoring of effluent parameters,
18 quarterly monitoring of groundwater parameters. If, after
19 discharge commences, we find that the mound that's created
20 as a result of the discharge has larger influents than was
21 initially predicted, then the monitoring wells in Part I.3
22 which are currently listed as upgradient wells could be
23 changed to wells that have limitations, and additional
24 upgradient wells installed after the fact.

25 Q And again, I believe you testified of this earlier; that the

1 permit requires groundwater monitoring downgradient -- or
2 what's understood to be downgradient of the TWIS; is that
3 correct?

4 A That's correct.

5 Q And just going back to I.3, what are the -- when you talk
6 about sidegradient, what does that mean?

7 A Basically that is -- those are wells that are located
8 lateral to the treated water infiltration system. You have
9 a situation where you have the infiltration system. You
10 have groundwater migrating from the southwest to the
11 northeast across the treated water infiltration system.
12 That groundwater, which is -- which flows immediately under
13 the treated water infiltration system -- the sampling of
14 would be -- those wells as referred to as the upgradient
15 wells. The lateral wells are the wells that actually would
16 exist upgradient but outside the treated water infiltration
17 system.

18 JUDGE PATTERSON: We need to take a break. Becky
19 has a technical problem.

20 MR. REICHEL: All right.

21 (Off the record)

22 Q Mr. Janiczek, I'd like to shift focus to the issue of
23 effluent limitations.

24 MR. REICHEL: Can we go to slide 56, please?

25 Q What's the point of this slide?

1 A The point of this slide is simply to point out the key
2 parameters that were involved in our evaluation or
3 establishment of limits in the permit.

4 Q And the first one is specific conductants. You've already
5 been talking about that; correct?

6 A Being used as an indicator or parameter to demonstrate the
7 effectiveness of the treatment system, yes.

8 Q And so we've gone through that. The next category you have
9 listed here is metals; is that correct?

10 A That's correct.

11 Q Is it fair to say that metals were the principal focus of
12 the permit in terms of regulations?

13 A That's correct.

14 Q And with respect to the development of effluent limitations
15 for metals, were -- did you or the Department consider a
16 variety of factors in developing limits for metals
17 considering both surface water and groundwater
18 considerations?

19 A That's correct.

20 MR. REICHEL: Can we go to slide 59, please?

21 Q Could you explain -- strike that. Was part of the process
22 that you used to develop limitations -- did it involve
23 consideration of surface water as well as protection of
24 groundwater?

25 A That's correct.

1 Q And with regard to surface water protection, what sort of
2 factors went into your consideration of that?

3 A The factors that went into that consideration included
4 surface water protection for those parameters that were
5 described by the surface water assessment section as being
6 important for surface water protection.

7 Q And so I think you've testified, and some of the previous
8 slides reflect that you -- that the groundwater permitting
9 staff interacted with surface water assessment and sought
10 input from them?

11 A Correct.

12 Q On these surface water protection issues; is that correct?

13 A That's correct.

14 Q And based upon your communications with surface water
15 assessment staff, what is your understanding of how -- what
16 sort of analysis they go through in terms of -- well, for
17 example, you're looking at the slide here. The third bullet
18 talks about loading. Could you explain what you're
19 attempting to convey there?

20 A Loading -- for surface water purposes, loading is an
21 important issue. Surface water standards from our
22 experience in dealing with the surface water assessment
23 group for a long time -- surface water standards are divided
24 into two separate types of limits. Limits for acute
25 toxicity and limits for chronic toxicity. And so "loading"

1 is a term that relates to the overall -- let me take a step
2 back. Rather than a specific concentration limit at a point
3 in the aquifer, which is how groundwater compliance is
4 generally determined, surface water will look at the loading
5 of a particular substance to the surface water over the
6 broad area of influence; in this case, over the discharge.
7 So for chronic values, values that have potential long-term
8 effects, the surface water assessment group will establish a
9 loading rate over an area that is influenced by the
10 discharge. And that's part of the information that we
11 provide surface water in our request for an evaluation.
12 What we provide to them in effect is, how much groundwater
13 affected by the discharge we've calculated or given our best
14 estimate as to how much water is venting to those surface
15 water bodies on a daily basis. And they then take that
16 information and determine whether or not, based on the
17 parameters in the application, whether there are acute
18 values, meaning that these are maximums not to be exceeded,
19 or whether they're chronic values, which are values that can
20 be averaged over an area to see what the overall loading is
21 to the system, to the surface water. And that gets to the
22 next bullet, is that in general, for parameters that are
23 related to groundwater concerns, the groundwater program
24 deals, as you see in groundwater, with values that are
25 classified as daily maximums. A groundwater system, a

1 groundwater discharge, is regulated by daily maximums
2 because of the difference in flow, in the flow dynamics.
3 Surface water flow is turbulent flow. There is some mixing
4 that could take place. Groundwater is laminar flow, and
5 therefore, if you exceed a standard, that standard generally
6 is going to -- that concentration in groundwater is
7 generally going to travel large distances with very minimal
8 change in the initial concentration. In surface water, a
9 venting under normal situations -- now, understand this one
10 was a zero flow, so this was a very conservative number.
11 But under the normal situation, groundwater vents to surface
12 water, will mix with the available surface water. And so
13 with that you'll see in our permit -- in this permit in the
14 effluent, daily maximum and monthly average limits for
15 certain parameters.

16 Q And with regard to -- and again, you testified that you and
17 your staff got some input from the Surface Water Assessment
18 System as to standards that they would establish or
19 recommend to protect surface water, including these chronic
20 effects; is that correct?

21 A Yes.

22 Q And with respect to -- is there a group of metals for which
23 they provided input where -- that are addressed in the last
24 bullet on this slide 59?

25 A Yes.

1 Q Could you explain what those were and how they were
2 addressed?

3 A Do you want to jump ahead to the next slide where we list
4 them individually?

5 Q That's fine, yeah, if you want to explain that, but -- go
6 ahead.

7 A We could do that probably more easily if we had those in
8 front of us.

9 Q Sure.

10 MR. REICHEL: Let's go to slide 60, please.

11 A These are the substances for which the Surface Water
12 Assessment Section provided recommendations for specific
13 limitations in the program. And they include cadmium,
14 copper, mercury, silver and selenium. The limits in
15 groundwater for those parameters are listed in the second
16 column and are based on the background -- based on
17 groundwater limitations -- evaluating groundwater
18 limitations, surface water protection, and background
19 groundwater quality. The third column is the actual surface
20 water standard or surface water criteria recommended by the
21 Surface Water Assessment Section. And you will see that
22 there is a difference between the values in column 2, the
23 groundwater limitations; and column 3, the surface water
24 limit. It was our professional opinion, based on input from
25 staff hydrogeologists and approved by me, since that's my

1 delegated authority, that the limitation of cadmium at 3.0
2 micrograms per liter, would, through the mechanisms of
3 advection and dispersion, achieve a surface water limit of
4 2.8 at some distance 4- to 5,000 feet from the discharge
5 point. Similarly, for copper the groundwater limit is ten.
6 Again, these limitations are enforced at 150 feet from the
7 point of discharge. It's our professional opinion that at a
8 venting location approximately 4- to 5,000 feet away, that
9 the mechanisms of advection and dispersion will reduce that
10 to at least 7.4 micrograms per liter for copper. And the
11 same evaluation would have taken place for mercury and for
12 silver.

13 Q Could you back up now, sir, and explain what you mean by
14 "advection and dispersion"?

15 A "Advection" and "dispersion" are terms relative to
16 hydrogeology. Advection is simply the movement of
17 groundwater, and dispersion is the mechanical reduction of
18 concentration of a substance at the leading edge of -- in
19 this case we'll call it a plume -- but the leading edge of
20 the effluents of the discharge -- the groundwater affected
21 by the discharge. And so because of the flow path, the
22 torturous flow path that a molecule must take through sand
23 grains, that process will lead to some dispersion of that
24 material to the point where the concentration at the leading
25 edge is reduced.

1 Q So in this case, if I understand you, looking again at slide
2 60, under the second column, "GW" or groundwater "Limits,"
3 those again -- those are being measured where?

4 A Those are being measured in groundwater 150 feet
5 downgradient from the treated water infiltration system.

6 Q And based upon the available hydrogeologic information, how
7 far from that point of measurement, about 15 feet
8 downgradient approximately, would the water have to travel
9 before it actually vented to the surface waters; that is,
10 the seeps in these tributaries to the east branch of the
11 Salmon Trout?

12 A Approximately 4- to 5,000 feet.

13 Q And as a geologist -- a hydrogeologist, in your professional
14 judgment is there any question in your mind that is the
15 result of advection and dispersion that, as a result of that
16 transit over that time --

17 MR. EGGAN: I think that this is about to be a
18 leading question, Mr. Reichel.

19 MR. REICHEL: All right. That's fine.

20 Q Mr. Janiczek, based upon your professional training and
21 experience and your understanding of the site conditions
22 here, have you formed any opinion as to whether or not,
23 during the course of transiting from the TWIS system or
24 monitoring points 150 feet downgradient of it, to -- through
25 the groundwater to the locations of the seeps, where there

1 could be a connection to surface water, have you formed an
2 opinion as to whether or not the processes that you
3 described would result in a water quality at the seep
4 locations that would meet or exceed the surface water
5 criteria listed here?

6 A It was the professional opinion of staff assigned to do the
7 detailed technical review -- and based on -- my
8 hydrogeologic experience supported that opinion -- that the
9 values, the concentrations that are protective of surface
10 water would be achieved at the venting location.

11 MR. REICHEL: Can we go to the next slide, please,
12 number 61?

13 Q Could you explain what you were attempting to summarize
14 here, sir?

15 A This is a pretty complex slide here that we'll -- I'll try
16 to explain it. Attachment I in the permit describes the
17 expected effluent quality that will be coming out of the
18 treatment system. And it is the level of treatment that the
19 Department expects the company, Kennecott, to achieve as
20 part of their treatment process. Each of the values, each
21 of the results in concentration that are listed in
22 Attachment I, those values are protective for both surface
23 water and groundwater. There is a provision in the permit,
24 Section 10.d, that's a notification provision. And that
25 notification provision says that if the facility exceeds

1 five times the concentration of a parameter that's listed in
2 Attachment I, that the Department can require the facility
3 to change their monitoring system or upgrade or modify the
4 treatment system. Even at five times the concentrations
5 that are listed in Attachment I, virtually all of those
6 parameters would continue to be protective of surface water
7 and groundwater. And the parameters, in correspondence
8 between ourselves and the surface Water Assessment Section,
9 there were three parameters; barium, nickel and zinc; for
10 which the actual limitation in the permit in groundwater is
11 based on groundwater protection. The Surface Water
12 Assessment Section recommended that for those parameters,
13 the more conservative surface water number be employed in
14 the permit. It was my conclusion that through the
15 condition, the notification condition in Part I.10.d, that
16 even if the parameter exceeded five times the expected
17 effluent quality, they would still be below the surface
18 water protection number. And that would be the section of
19 the permit that would control the value of those substances
20 and still ensure that the discharge was protected.

21 Q And again, in this slide you reference this allowable
22 operational range producing -- how does that relate to what
23 you've just said if at all?

24 A The allowable operational range -- the permit states that
25 the facility, in their pilot, must develop an operational

1 range that demonstrates that they can achieve the
2 limitations contained either in Part I.2 or Attachment I.
3 And so it is anticipated that if the company stays within
4 the operational range, that the concentrations in the
5 effluent will be far below the standards that are protected
6 for both groundwater and surface water.

7 Q And could we go to the next slide, please, number 62? And
8 does this talk about this expected -- or this EEQ, Expected
9 Effluent Quality? What is that again, sir?

10 A The expected effluent quality is the concentration of these
11 substances that Kennecott in their application indicated
12 they could achieve through the wastewater treatment plant.
13 The third column is the limit in the permit. And this is
14 simply a graphical representation and comparison of the
15 expected effluent quality which is Attachment I in the
16 permit limits, indicating in every case that the expected
17 effluent quality is less than the permit limit.

18 MR. REICHEL: Could we go to the next slide,
19 number 63?

20 Q This has the heading, "Numerical Limits, Groundwater Rule
21 2222(5). and 50 Percent of Part II.1 Criteria." Could you
22 first explain what you mean by that and how these particular
23 limits were developed?

24 A Rule 2222(5) describes the process for establishing limits
25 for inorganic substances that are not otherwise mentioned in

1 the rule. And so what it says is that the limit should be
2 one-half the concentration -- the difference in the
3 concentration between background and the Part II.1 criteria.
4 In this case, this is a listing of five parameters, barium,
5 strontium, thallium, vanadium and zinc, for which no credit
6 for background groundwater quality was given. And so these
7 limits in the permit are simply 50 percent of the 201
8 residential criteria.

9 Q And again, if I understand you correctly, these limits are
10 based upon -- are you saying these limits were based upon
11 Rule 2222(5)?

12 A That's correct.

13 Q And the parameters here are -- if you'd just read them,
14 please?

15 A Barium, strontium, thallium, vanadium and zinc.

16 MR. REICHEL: Could we go to the next slide,
17 number 64?

18 Q Could you explain what's depicted or summarized on this
19 slide?

20 A This is a group of substances, group of metals that is --
21 for which limitations were also established pursuant to Rule
22 2222(5). However, based on information that was provided by
23 the facility, these limits are now -- now have a factor in
24 them relative to the existing groundwater quality at the
25 site.

1 Q And again, how is the existing groundwater quality
2 determined?

3 A Through the collection of water quality data from the
4 existing wells at the facility that were submitted as part
5 of the -- initially as part of the hydrogeologic
6 investigation, and then subsequent data received from the
7 company after the application.

8 Q So using those data and -- what? -- the Part 201 criteria?

9 A Correct.

10 Q Then how were these limits set?

11 A That's correct.

12 Q So set between those two -- halfway between those two
13 points?

14 A Basically subtracting the 201 criteria from the existing
15 groundwater quality; dividing that in half and adding that
16 to the existing background groundwater quality.

17 Q Thank you. And again, to your understanding, sir, is that
18 approach consistent with the requirements of Rule 2222(5)?

19 A Yes, it is.

20 Q Now I'd like to direct your attention to three of the
21 parameters on this list: beryllium, boron and lead. I
22 believe you're aware, Mr. Janiczek, that Petitioners have
23 argued in this case -- or at least in their petition, that
24 the effluent limits established for those parameters and the
25 permit that are reflected here are in error or too high.

1 Are you aware of that contention?

2 A Yes.

3 Q And could you explain, if you -- first of all, do you agree
4 with that contention?

5 A No.

6 Q And could you explain why?

7 A Well, the reason is that Part 31, Section 3109 and Rule
8 2204, both indicate that a discharge shall not be injurious
9 to any of the protected uses of the waters of the State. In
10 establishing values or permit limitations, which is my
11 delegated responsibility, there are -- first of all, there
12 are no rules in the Department relative to the rounding of
13 calculations. In fact, the Water Bureau has subsequently
14 recognized that that was an issue within the bureau.
15 Rounding was done in every way imaginable by the individual
16 technical staff. There were no rules, no guidance documents
17 out there relative to rounding.

18 Q Excuse me. Let me just interrupt you here. Why is rounding
19 even an issue here?

20 A Because of the fact that the values, as strictly calculated
21 for beryllium, boron and lead, are slightly less than the
22 numbers as they appear in the permit. In the case of boron,
23 there is a less-than-2-part-per-billion difference in the
24 exact calculation. And for beryllium and for lead, there
25 are in the area of parts-per-trillion differences between

1 the specific calculated number and the number as it appears
2 in the permit. Based on my delegated authority in this
3 case, I approved these limitations because the difference in
4 the numbers was very slight and that even at the numbers --
5 with the numbers that are described, the limitations
6 described in the permit, that the discharge at those levels
7 and the concentration at those levels in groundwater will
8 not be injurious.

9 Q Just so we're clear on this, when these numbers were
10 calculated following the process provided under Rule 2222(5)
11 which you've talked about, again is this -- where you look
12 at the difference between background and the Part 201
13 criteria; is that correct?

14 A Correct.

15 Q And then halfway between those; is that correct?

16 A Right.

17 Q So you have to do some arithmetic to get to those?

18 A That's correct. There's some math involved.

19 Q And in those calculations, is that where the rounding issue
20 comes in?

21 A That's correct. As a result of those calculations I think
22 the boron number ended up being 283-point-something, and the
23 beryllium and lead were on the order of 2.4 instead of 3.
24 And so those numbers were simply rounded up to the whole
25 number but still below the 201 criteria and are not

1 injurious.

2 MR. REICHEL: Can we go to slide 65, please?

3 Q And this lists some additional metals; is that correct?

4 A That's correct.

5 Q And could you explain how the Department established
6 groundwater limits or limits for these parameters?

7 A These are the parameters, as we discussed earlier, that are
8 related to Rule 2222(3), which are the numbers that are
9 specifically listed in the Part 22 Rules and are the
10 aesthetic criteria under the Part 201 generic residential
11 criteria.

12 Q So in other words these numbers -- when you go to the Part
13 22 Rule referenced there, you would actually see those
14 numbers themselves in the rules?

15 A Directly in the rules, that's correct.

16 MR. REICHEL: Could we go to slide 66, please?

17 Q This talks about nitrogen. I think you've touched on this
18 before, but could you briefly recap again how the Department
19 chose to regulate nitrogen in this discharge and why?

20 A Again, the system as proposed -- the discharge system as
21 proposed is a rapid infiltration basin. No treatment credit
22 is given after that discharge. Rule 2222(2) speaks to
23 substances that are treated by the action of soil, soil
24 microorganisms or plants, which are not the case in this
25 instance. And so we deferred to Rule 2222(f) for

1 establishment of the limitations in the permit for this
2 discharge for nitrogen.

3 We have approximately 45 permits in house right
4 now for which -- which are primarily drain fields, for which
5 Rule 2204(2)(f) has been used to establish nitrogen criteria
6 in groundwater. In fact, just within the last two weeks I
7 signed the permit for the Huron Mountain Club, which is one
8 of the Petitioners, in which we used this rule to establish
9 the numerical criteria for nitrogen.

10 Q So the approach you took for the regulation of nitrogen
11 here, is that consistent or inconsistent with your
12 Administration Part 22 Rules at other sites?

13 A It's consistent with our use -- development of the
14 limitation for nitrogen at other sites.

15 Q Just looking at the slide, sir, the second bullet, the
16 reference there is to Rule 22- -- as typed says 2204. Now,
17 is there -- is that citation --

18 A That's a typo. That should be 2204(2)(f).

19 Q Okay.

20 A Paren 2, paren f.

21 Q Okay. Thank you.

22 MR. REICHEL: Could we go to the next slide,
23 number 67?

24 Q What is the purpose of this slide?

25 A Just a summary of our position relative to the groundwater

1 discharge permit. And that -- the groundwater permit has
2 limitations for metals, nitrogen, pH and other inorganic
3 substances. The limitations in the permit are in compliance
4 with Section 3109 of Part 31, which is the requirement that
5 a discharge shall not be injurious to any of the protected
6 uses or waters of the state. And the last bullet is that it
7 will not be injurious to any of the protected uses of the
8 waters of the state.

9 MR. REICHEL: Your Honor, I have a few exhibit
10 issues. Well, first of all, as a threshold matter, let me
11 back up.

12 Q Mr. Janiczek, during the course of your work on this project
13 did you have occasion to -- I think you testified on this,
14 but you did have occasion to see and look at the permit
15 application and supporting materials submitted by Kennecott
16 to the Department in February of 2006?

17 A Yes, at least in a cursory fashion; that's correct.

18 Q And do you have some understanding of what the various
19 appendices were -- I'm not asking you from memory. But you
20 understand that there was the application itself and then a
21 series of supporting appendices?

22 A Correct.

23 Q And, Mr. Janiczek, do you understand that we have marked for
24 identification in this case as proposed exhibits a series of
25 exhibits designated Respondent's Exhibits 141 through 158,

1 to be collectively designated the Groundwater Permit
2 Application Related Appendices?

3 A That's my understanding.

4 Q And is it your understanding that those proposed exhibits
5 contain the documents submitted by Kennecott --

6 A Yes.

7 Q -- in connection with the permit application?

8 A Yes.

9 MR. REICHEL: Your Honor, I'm not clear on this
10 issue. I believe that -- again, to recap, at the beginning
11 of these proceedings I thought there was initially a
12 stipulation that the permit applications would be admitted
13 into evidence. I understand that counsel for Petitioners
14 subsequently withdrew that in part. I'm not sure where
15 we're at on that. But in any event, if it is not -- if they
16 are not already into evidence, I would offer into evidence
17 in this proceeding the groundwater discharge permit
18 application that is Respondent's -- those Exhibits 141
19 through 158.

20 MR. EGGAN: Your Honor, I have conferred with Mr.
21 Haynes on this, and our position on this is -- and he kindly
22 reminded me what our position has been with respect to these
23 exhibits. Our position is that the permit itself may be and
24 should be admitted. The permit application and the
25 attachments may be accepted by the court but should not be

1 considered as truth of the matter asserted; in other words,
2 should not take the factual averments that are in those
3 permit applications as true, because we have not had all the
4 witnesses who were participating in all of that factual
5 gathering or even the drafting of that present in court to
6 testify about it. So we're going to maintain our position
7 on that; that the application itself may be admitted or
8 should be admitted and that the -- I'm sorry -- that the
9 permit itself should be admitted but that the application is
10 a hearsay document and should not be considered as truth of
11 the matter asserted.

12 MR. HAYNES: Your Honor, I join in the objection
13 for a couple of additional reasons. Counsel has just
14 offered as a group exhibit, if my notes are correct, DEQ
15 Exhibit 141 through 158, which is the groundwater discharge
16 permit application and appendices A through M. I haven't
17 looked at those in awhile, but I suspect they're pretty
18 large. And I don't think the witness testified that he
19 authored the documents. He testified that he may have
20 reviewed them cursorily as part of his job. But I think
21 it's improper to offer those exhibits to this witness when
22 he didn't author them. And he certainly can't aver to the
23 truth of the averments in those documents. So I think
24 there's a significant lack of foundation here to admit these
25 exhibits through this witness.

1 MR. REICHEL: Well, your Honor, the witness has
2 testified that the Department made its decision -- I mean,
3 the whole reason we're here is because these documents were
4 submitted to the Department and reviewed by it. They form
5 the primary initial basis for the Department's decision in
6 this matter. And I think that it's appropriate that --
7 obviously we've not suggested that Mr. Janiczek was the
8 author of these documents. But we're offering these
9 documents because they were and are essential to the
10 Department's decision reached in this matter.

11 JUDGE PATTERSON: And it's part of the Department
12 files?

13 MR. REICHEL: Yes.

14 JUDGE PATTERSON: So it's admissible under the
15 APA.

16 MR. REICHEL: Yes.

17 JUDGE PATTERSON: Whether or not the facts
18 elicited in the application are true I think is certainly an
19 open question as it always is. It's merely an application.
20 And obviously there is dispute over whether or not that's
21 true on the record. So I will admit it on that basis, with
22 the understanding that obviously much of what is recited on
23 the application is now in dispute in this hearing. And as
24 far as the truth of the matter asserted, I understand that.

25

1 (Respondent's Exhibits 141 through 158 received)

2 MR. REICHEL: Thank you, your Honor. With respect
3 to -- may I have just a moment, your Honor?

4 JUDGE PATTERSON: Sure.

5 MR. REICHEL: Your Honor, I would also move for
6 the admission of Respondent's Proposed Exhibit 159, which is
7 the March 22nd, 2006 correspondence that the witness
8 testified earlier from the Department to Kennecott,
9 identifying some additional information needed to complete
10 the application.

11 MR. HAYNES: Your Honor, my notes, although I
12 wasn't here that day, indicate that DEQ Exhibit 159 was
13 already admitted.

14 MR. REICHEL: That's entirely possible, Counsel.

15 MR. HAYNES: Again, I wasn't here. This is just
16 what my notes say, that it was admitted through Ms.
17 Mariuzza.

18 MR. EGGAN: That is my recollection also.

19 MR. REICHEL: You're correct. Thank you, Counsel.
20 I apologize. I'm sorry. I do not have encyclopedic
21 knowledge of --

22 MR. HAYNES: I'm surprised.

23 MR. EGGAN: You're not meeting our expectations.

24 MR. REICHEL: Okay. Sorry to let you down again.
25 And I would also -- I believe if not already admitted into

1 evidence, I would offer Respondent's Proposed Exhibits 160
2 and 164, which were responses submitted by Kennecott to the
3 Department in response to Exhibit 159.

4 MR. HAYNES: Your Honor, to the extent that those
5 exhibits, 160 and 164, are offered under the same basis as
6 the application and its appendices; that is, as part of the
7 application process; to the extent that the DEQ looked at
8 those documents in formulating its permit, I think the court
9 ought to rule in the same manner for those exhibits as it
10 has for the application appendices.

11 MR. EGGAN: We have no objection.

12 JUDGE PATTERSON: That was -- I'm sorry?

13 MR. REICHEL: 160, your Honor, and 164.

14 MR. EGGAN: So it's 160 and 164, not through 164?

15 MR. REICHEL: Correct. 160, 164.

16 (Respondent's Exhibits 160 and 164 received)

17 MR. REICHEL: And I would also move for admission
18 of Respondent's Exhibit 179, which was the correspondence
19 from August of 2006 where the Department notified Kennecott
20 that they determined the application was complete. And Mr.
21 Janiczek did testify about that this morning.

22 MR. BRACKEN: No objection.

23 MR. HAYNES: No objection.

24 MR. EGGAN: And we have no objection.

25 JUDGE PATTERSON: No objection; 179 will be

1 entered.

2 (Respondent's Exhibit 179 received)

3 MR. REICHEL: And finally, your Honor, solely for
4 demonstrative purpose, Respondent's Exhibit 216 about which
5 the witness testified this morning.

6 JUDGE PATTERSON: Let me ask a question. I didn't
7 note that Mr. Janiczek made any reference to slides number
8 57 or 58 in his testimony. And given Mr. Egan's concern
9 about that --

10 MR. REICHEL: Well, I can address that, your
11 Honor, but I actually skipped over them in the sequence
12 because in response to prior questions Mr. Janiczek had
13 already, in my estimation, discussed the same substantive
14 points.

15 JUDGE PATTERSON: I believe that's true.

16 MR. HAYNES: My recollection is the same as Mr.
17 Reichel's.

18 JUDGE PATTERSON: Okay. I see that. I haven't
19 frankly looked at it that closely.

20 MR. REICHEL: It was simply an effort to not
21 further prolong this process.

22 MR. HAYNES: I have no objection, your Honor.

23 MR. EGGAN: We thank you for your efforts not to
24 prolong the process. Your Honor, our position on this one
25 is the same as it has been throughout.

1 JUDGE PATTERSON: I understand. I am going to
2 make the same ruling.

3 MR. HAYNES: And I concur with Mr. Eggan.

4 (Respondent's Exhibit 216 received)

5 MR. REICHEL: That concludes my offer of exhibits,
6 your Honor, and at this time I pass the witness.

7 JUDGE PATTERSON: It's 11:58. Do you want to
8 break for lunch?

9 MR. EGGAN: I think so, Judge. Thank you.

10 MR. REICHEL: Sure.

11 JUDGE PATTERSON: Come back at 1:00.

12 (Off the record)

13 MR. HAYNES: I'll defer my questions.

14 MR. EGGAN: Ready, your Honor, cross-examination.

15 Mr. Janiczek, I'm Eric Eggan. I represent some of
16 the Petitioners in this matter especially in
17 groundwater-related issues. I'll have some questions for
18 you, and then I suspect that my colleague Mr. Haynes down at
19 the end of the table will have some questions for you, too.
20 Okay.

21 CROSS-EXAMINATION

22 BY MR. EGGAN:

23 Q Let's begin by talking a little bit about the work you've
24 done in your career. As I understand it, you have a
25 bachelor of science in geology from -- is it Wayne State?

1 A Wayne State, correct.

2 Q No master's degree?

3 A No.

4 Q No Ph.D.?

5 A No.

6 Q You're not a licensed engineer here in Michigan?

7 A That's correct.

8 Q Are you a licensed engineer anywhere?

9 A No.

10 Q I take it that -- in looking over your resume, I take it
11 that you've never worked in a mine?

12 A That's correct.

13 Q Or in an underground mine?

14 A Correct.

15 Q Certainly not in a sulfide mine?

16 A That's correct.

17 Q And you've never approved a permit for a wastewater
18 treatment plant for an underground mine?

19 A Correct.

20 Q Or a sulfide mine?

21 A That's correct.

22 Q Okay. Or a mine where there were concerns about acid rock
23 drainage or metals leaching?

24 A That's correct.

25 Q Okay. So that you testified earlier that in your career

1 you've probably looked at 3- to 500 groundwater permits
2 conservatively, I'll bet.

3 A Uh-huh (affirmative).

4 Q But none of those permits were for sulfide mines?

5 A That's correct.

6 Q Or for underground mines?

7 A The only -- we did -- your first question was have we ever
8 issued a permit. We did an evaluation of the Copper Range
9 Mine that was proposed to reopen as a solution mine
10 operation. That permit was never issued.

11 Q Okay. Before I get too far down the road, I want to mention
12 something or least discuss with you something. You said
13 that the groundwater rules in Michigan are based in part or
14 are similar to the groundwater rules in Wisconsin?

15 A That's correct.

16 Q Now, you're aware, aren't you, that Wisconsin presently has
17 a -- that the state of Wisconsin has a moratorium on sulfide
18 mining? You're aware of that?

19 A That's my understanding, yes.

20 Q Okay. Now, I want to ask you -- and this is a little bit of
21 a -- I guess a frolic and detour. But I've got a question
22 for you. I want you to assume that one of the employees in
23 your section concluded an analysis of a groundwater permit
24 analysis. All right. They concluded their analysis of the
25 permit and made a recommendation to you for approval of the

1 permit. Okay. So that's the scenario we're dealing with.

2 A Uh-huh (affirmative).

3 Q And you later -- you learned after they had done their work

4 that that employee actually had a contractual relationship

5 with the entity they were reviewing and considering

6 approving. Okay?

7 A Okay.

8 Q Would there be an ethical issue that you would raise in that

9 circumstance?

10 A Yes.

11 Q Why?

12 A Well, I think if I had discovered that -- there's a

13 potential conflict of interest.

14 Q What is that conflict?

15 A If an employee has a interest in a regulated party,

16 certainly, if I knew that up front, that person would not be

17 assigned to that project. If I discovered that after the

18 fact, then -- then I have the choice of conducting my own

19 review or reassigning that project to evaluate whether or

20 not the review was in compliance with -- in this case, it

21 would be the Part 22 standards and rules.

22 Q Okay. So there would be an issue about a potential conflict

23 of interest, and you would do a -- some sort of an analysis,

24 some sort of an investigation to see whether or not there

25 was an impact on the decision that was made?

1 A Correct.

2 Q And in all likelihood you would -- what? -- reassign it to
3 somebody else for another --

4 A It would probably be a case-by-case determination. I would
5 do my own evaluation first.

6 Q Okay. Have you ever -- I'm going to go back now to your
7 credentials. Have you ever done a peer-reviewed paper on
8 groundwater-related issues at hard rock mines?

9 A No.

10 Q Have you ever done a peer-reviewed paper since you've been
11 working for the MDEQ?

12 A No.

13 Q And you worked with Kristen Mariuzza on this project, I take
14 it?

15 A Correct. She was part of the review team.

16 Q Okay. Was she part of the Part 31 review team also?

17 A Yes.

18 Q Was there -- and forgive me for asking, but was there a
19 difference between the Part 31 review team and the Part 632
20 team or were they all considered one big group called the
21 so-called mine team?

22 A Actually Kristen was an overlap position in that she had
23 some involvement in the -- on the mining team relative to
24 the 632 permit. And, of course, we would have conversations
25 with staff that were assigned as part of the 632 review

1 team. However, the other staff assigned to the project
2 would have come out of the permit unit, the groundwater
3 permit unit, and generally were under my direct supervision.

4 Q I see.

5 A The process is set up such that the engineering expertise
6 for evaluating things like treatment systems generally comes
7 out of our district office. And so that's where Kristen fit
8 into the Part 31 system.

9 Q Just to -- is Kristen Mariuzza part of the groundwater
10 permit unit?

11 A No, she's not.

12 Q Okay. So she would have been part of the mining team, but
13 she had overlap on issues that related to Part 22 or Part
14 31?

15 A Because she was the district engineer for Water Bureau in
16 the Upper Peninsula.

17 Q Okay. In any event, Kristen Mariuzza was the person
18 assigned to review the basis of design for the wastewater
19 treatment plant for this particular mine project?

20 A Correct.

21 Q Now, you were aware, I assume, that Kristen had no
22 experience with a wastewater treatment plant for an
23 underground mine?

24 A Yes.

25 Q Okay. And you were aware that she had never seen or

1 reviewed a wastewater treatment plant like the one proposed
2 in this situation?

3 A That would be my understanding.

4 Q And you're also aware that she had not done any special
5 studies to help her prepare to handle this particular
6 wastewater treatment plant?

7 A Not that I was aware of.

8 Q Okay. She had not -- you were not aware -- I'll tell you
9 she testified that she did not do any field studies on
10 wastewater treatment plants in hard rock mines anywhere.
11 Were you aware of that?

12 A Yes.

13 Q Okay. Did you yourself go and do any field studies on hard
14 rock mining?

15 A No.

16 Q So you didn't go out and do a site visit on a sulfide mine
17 anywhere in the United States to get a sense of what the
18 groundwater issues were?

19 A That's correct.

20 Q Okay. You're also aware that Ms. Mariuzza had never in her
21 professional career done a design for a wastewater treatment
22 plant; am I right?

23 A I was not aware of.

24 Q Does that surprise you?

25 A Does what?

1 Q It doesn't surprise you, I take it, that she had never done
2 a design for a wastewater treatment plant in any context?

3 A The --

4 Q Does it surprise you?

5 A No.

6 Q You also worked with Margie Ring on this project?

7 A Correct.

8 Q What is Ms. Ring's relationship to either your determination
9 or the mining determination in this matter?

10 A Margie Ring, my understanding, works for the waste and
11 hazardous materials division and is an engineer assigned to
12 the U.P. district office.

13 Q Okay. And do you have an understanding that she reviewed
14 the TDRSA for this project?

15 A Yes.

16 Q Okay. You're aware that she had never worked on a
17 mining-related mitigation project?

18 A I was not aware of that.

19 Q Does it surprise you to learn that she was not?

20 A No.

21 Q And had not?

22 A No.

23 Q Now, I've got a question for you related to an assignment of
24 a team member to this project.

25 MR. EGGAN: May I have MDEQ 031365? And can you

1 blow up the second part of -- perfect.

2 MR. REICHEL: Counsel, can you identify for the
3 record what this document is?

4 MR. EGGAN: Yes. This is Petitioner's Part 31
5 Exhibit 10-F. And this is an e-mail to -- it's e-mail
6 traffic between Mr. Janiczek and Jeanette Bailey in August
7 of 2005.

8 Q I'm right on that, aren't I, sir, August of 2005?

9 A That is correct.

10 Q Okay. Now, you can see that the first e-mail in this string
11 is -- it appears to be from you. And it's to Ms. Bailey.
12 And it says, "Mark Cherry from Kennecott will be in Lansing.
13 He'd like to meet with staff assigned to the mining
14 proposal." So you were setting up a meeting basically with
15 this e-mail?

16 A Correct.

17 Q Okay. And moving up, what we see is the response that was
18 sent to by Ms. Bailey?

19 A Yes.

20 Q Okay. And what she says is:

21 "I will give him a call. This is going to be a
22 groundwater discharge. With that in mind, would you
23 consider contacting Steve Casey and ask that Randy
24 Conroy be assigned to this site when the application
25 comes in as it's going to be a groundwater discharge?"

1 And it looks like she has underlined the word "groundwater";
2 right?

3 A Yes.

4 Q "If they still want Kristen on board, that's fine.
5 But Randy needs to be in all the pre-app meetings and
6 review of the application as usual as he is the one
7 with the groundwater experience. I don't mind Kristen
8 still being on board, but Randy is our guy up there and
9 he needs to take over or at least have equal footing.
10 Thank you."

11 And that was a recommendation being made to you by one of
12 your staff members, Ms. Bailey; is that right?

13 A That's correct; that's correct. Yes.

14 Q All right.

15 MR. EGGAN: Can we now go up to the -- to Mr.
16 Janiczek's response to that e-mail? Do the whole -- with
17 the to and from and the address and -- okay.

18 Q Now, your response to the e-mail from Ms. Bailey is:

19 "Do you really hear what you're asking for? Let's
20 talk about Hoerner Flooring where a 50-gallon or so
21 discharge has taken ten years to evaluate and they
22 still don't have a permit. I'm going to have to think
23 about that one for awhile before I decide."

24 Now, my question is -- for you is, the e-mail traffic
25 indicates that Randy Conroy, another employee at the

1 Marquette office -- or the Gwinn office --

2 A Correct.

3 Q -- should be assigned to this team because he's the one with

4 groundwater experience. That's what the recommendation is?

5 A Correct.

6 Q Okay. And what she's suggesting is, if Kristen Mariuzza can

7 be an asset but that "Randy is our guy up there and needs to

8 take over" -- that's what Ms. Bailey's suggestion to you is?

9 A That's correct.

10 Q And sometime after this e-mail traffic occurs, Ms. Mariuzza

11 was assigned to this particular mine team; am I right?

12 A That's correct.

13 Q And Randy Conroy was not assigned to this project?

14 A That's also correct.

15 Q Okay. By the way, Mr. Conroy is still employed by the MDEQ?

16 A That's correct.

17 Q It isn't like he retired or anything; he's still available?

18 A That's correct.

19 Q Okay. Now, I want -- I also want to discuss a budget issue

20 with you. You don't have to be more than a casual observer

21 to know that, during the time period that this particular

22 mine project was under consideration by the MDEQ, there was

23 a real issue in Michigan government about budgetary issues?

24 A That's correct.

25 Q And the Water Bureau really was under a resource strain at

1 that time just like everyone else was; am I right?

2 A That's correct.

3 Q And weren't there instances where the Water Bureau's ability
4 to address permit requests was -- it was difficult. It was
5 difficult to assign all the resources needed just to handle
6 the permit applications that were coming in?

7 A That's correct.

8 Q This is a pretty important project, this Kennecott project?

9 A It received our highest priority.

10 Q Well, that's a -- I think a good answer. But let's just go
11 with my question. Extremely important project to the Water
12 Bureau; am I right?

13 A It was an important project in the sense that there were
14 critical issues and it required our very best people to
15 conduct the reviews. So this was an important issue for the
16 Water Bureau.

17 Q And extremely important to the DEQ as a whole?

18 A I'm not sure what your perspective is on important to the
19 DEQ. Yes, it was a very, very complex, complicated process.
20 And it was our highest priority and, yes, a very important
21 project.

22 Q Okay.

23 MR. EGGAN: Can I have MDEQ 026609?

24 Q Well, I think you've answered the question. Would you call
25 this the most important project that MDEQ has had in the

1 last several years in terms of permitting?

2 A Based on the parameters being regulated, I would say yes.

3 Q Okay. You didn't do any special training for employees in
4 the Water Bureau, though, did you, to -- on issues of acid
5 mine drainage?

6 A No.

7 Q Okay. And as far as you know, the MDEQ didn't do any
8 special training for the people on the mine team who were
9 reviewing the various components?

10 A That, I'm not aware of.

11 Q Are you aware, sir, that one of the MDEQ employees who was
12 assigned to this project did her own review of acid mine
13 drainage issues by Googling that topic on the internet?

14 A I'm not aware of that.

15 Q Well, if I represented to you that that was the testimony of
16 Margie Ring, would you have any reason to doubt what I said?

17 A No, none whatsoever.

18 Q Well, if that's the case, the person responsible for the
19 TDRSA analysis is getting her training for a project that
20 you described as being one of the most important projects
21 that the MDEQ has, the training she receives is training
22 that she gets by Googling something on the internet?

23 MR. REICHEL: Object to the form of the question.
24 The record does not establish -- and lack of foundation.
25 The record does not establish that Ms. Ring said she got her

1 training in reviewing the TDRSA from Googling the internet.
2 She testified at length concerning her extensive educational
3 and professional training as an environmental engineer that
4 formed the basis of her review of this permit application.

5 MR. BRACKEN: I join. I join in the response by
6 Mr. Reichel.

7 MR. REICHEL: I would note I'm not disputing
8 that --

9 MR. EGGAN: I understand what your objection is.
10 I'm going to go to the transcript really quick so that I'm
11 making sure that we're all talking about the same thing.

12 Q I'm going to read you a question and an answer from Ms.
13 Ring. Okay. And this was testimony that she offered in
14 this case last Friday.

15 MR. BRACKEN: Your Honor, I'm going to object
16 right now before we start this, because there's been a lack
17 of foundation. Because Ms. Ring's testimony is obviously
18 more than one question and one answer. And asking this
19 person what he thinks about one question and one answer is
20 not going to be an appropriate way to cross-examine him
21 about this issue. It's not going to be fair to Ms. Ring.
22 And unless he completely asks the questions about her entire
23 experience related to the way he -- he asked the question, I
24 don't think it's fair. In addition, I think there's a lack
25 of foundation about this gentleman commenting upon what she

1 said about her training or expertise.

2 JUDGE PATTERSON: I think, if there's a limitation
3 in Mr. Egan's questioning, and it can be pursued on
4 redirect testimony.

5 MR. EGGAN: I will be quick, your Honor. Thank
6 you.

7 JUDGE PATTERSON: Okay.

8 Q Here was just a couple of questions I asked of Ms. Ring.
9 And I just -- I'm going to ask you for your comment on it.

10 "Prior to this project, had you worked on any
11 similar project where you were attempting to assist in
12 the design of a plan that was to mitigate a potential
13 problem before it occurred at a mine?"

14 The answer was, "At a mine, no." "Okay." The next question
15 is, "And my guess is that you have not worked on any matter
16 involving the potential for acid rock drainage?" "No, I
17 have not." "Okay." And this is the next question. "And
18 prior to undertaking the responsibility here for the review
19 of the TDRSA project, did you do any research into acid rock
20 drainage?" "Not prior to it. But while I was reviewing it,
21 I did look up a few things on the internet." Question:
22 "You did a Google search on acid rock drainage?" Answer:
23 "Yes." That was her testimony. Now, given your testimony
24 that this is one of the most important projects that MDEQ
25 has had for the last several years, is this consistent --

1 her research, her knowledge of acid rock drainage issues --
2 and remember she's working on the TDRSA -- is that
3 consistent with this being the highest priority of your
4 agency?

5 A I know Margie Ring. I used to work with Margie when we were
6 both in the waste management division. And my understanding
7 was that Margie Ring's involvement was relative to her
8 expertise to the design of the mining system for the holding
9 lagoons, the holding facilities.

10 Q Her analysis, sir, was to review the TDRSA. My question
11 is --

12 MR. BRACKEN: I'm going to object to his
13 interruption of the answer to the question. The gentleman
14 was trying to -- you cut him off in the middle of his
15 answer. I don't think that's very fair, first of all. And
16 I think it's inappropriate for not allowing the person to
17 answer the question, which is what he was trying to do.

18 MR. REICHEL: I join in that. I believe the
19 witness should be allowed to answer the question.

20 MR. EGGAN: Well, I asked him whether or not if
21 that's consistent with the highest priority of the agency.
22 And he wants to tell me all about Ms. Ring's experience
23 looking at landfills. And I don't think that's responsive
24 to my question. So I am simply asking him to respond to my
25 question.

1 MR. BRACKEN: Well, I think the fair thing to do
2 is allow the gentleman to answer the question and then, if
3 you don't think it was an appropriate answer, move to strike
4 the answer.

5 JUDGE PATTERSON: I think it was responsive to the
6 question, though. I'll sustain it.

7 A My understanding of Margie Ring's involvement was relative
8 to the design of the TDRSA and it involved her history in
9 the waste management division and the waste and hazardous
10 materials division has to do with the engineering of lining
11 systems and containment systems. And that was where her
12 expertise came into play relative to her role in evaluating
13 that system. That was my understanding.

14 Q Don't you wish that an employee who worked on this
15 particular project where acid rock drainage is an issue had
16 a little bit more information available to them than
17 Googling acid rock drainage on the internet?

18 A I think that, for my purposes knowing Margie's expertise and
19 history, I felt that her background and experience was
20 appropriate for what she was asked to do for the project.

21 Q Have you ever been to this particular site? Did you ever
22 travel up there?

23 A Yes, as part of the -- during the public hearings.

24 Q Good. And we can agree that this is an environmentally
25 sensitive site, can't we?

1 A Yes.

2 Q It's a very unique site, isn't it, given the resources that
3 are accessible at that site?

4 A Yes.

5 Q And it's made -- the environmental situation here is made
6 even more unique by virtue of the fact that the underground
7 mine is proposed to be under a river?

8 A That is an issue, yes.

9 Q Okay. That makes this particular permitting issue more
10 complex, doesn't it?

11 A The position of the mine is not part of the Part 31 review
12 of this application.

13 Q I understand. Okay. We do know that the MDEQ did not hire
14 an expert consultant to consult on the wastewater treatment
15 plant basis of design, did it?

16 A That's correct.

17 Q In fact, the MDEQ didn't hire an expert consultant to do any
18 analysis of the wastewater treatment plant or the proposed
19 issues?

20 A That's correct. Our processing rules are structured that --
21 in particular, Rule 2206, that the applicant --

22 MR. EGGAN: Your Honor, this is unresponsive.

23 This is unresponsive to my question. And I would ask that
24 that be stricken.

25 MR. BRACKEN: I don't know that -- you have to let

1 him answer so you can find out what's responsive, and then
2 you can make a motion that it was unresponsive. But you
3 can't cut him off in the middle of his answer until you find
4 out what he's going to say.

5 MR. EGGAN: My very simple question was, they
6 didn't hire an expert consultant. And now he wants to tell
7 me about all the rules. And I think I'm entitled to have a
8 cross-examination where I ask questions and he gives me
9 answers to those questions. Mr. Reichel is more than
10 capable of going back and allowing him to embellish any
11 answer he wishes to.

12 JUDGE PATTERSON: I think that was a "Yes" or "no"
13 question. We don't need to go beyond that.

14 A The answer is, yes, we did not hire any --

15 Q You did not hire a consultant?

16 A Outside consultant, that's correct.

17 Q Essentially you relied on Ms. Mariuzza to analyze those
18 issues and make a decision and make a recommendation?

19 A Ms. Mariuzza who had access to other engineers within the
20 department.

21 MR. EGGAN: Your Honor, again, a simple "yes" or
22 "no" question.

23 Q You relied on Ms. Mariuzza, didn't you?

24 A Yes.

25 Q With respect to modeling at this site, MDEQ didn't do its

1 own modeling at this site, did it?

2 A Correct.

3 Q It relied on Kennecott's modeling, didn't it?

4 A Correct.

5 Q In fact, it didn't do -- MDEQ didn't do its own modeling
6 even at the TWIS where the discharge occurred, did it?

7 A That's correct.

8 Q It relied on modeling that was done by Kennecott?

9 A That's correct.

10 Q Now, there is a section within the MDEQ that does do
11 groundwater modeling, isn't there?

12 A I believe there is, yes.

13 Q Isn't there a section called the groundwater modeling
14 program?

15 A Yes.

16 Q Okay. But nobody as far as you know -- as far as you know,
17 nobody from either the mine team or the Part 31 team
18 consulted with that group and requested that they do
19 modeling for this site?

20 A Correct.

21 Q And there's nothing in Part 31 that would have prevented
22 that from happening? There's certainly no prohibition in
23 Part 31 or in your rules that would have prohibited you from
24 requesting another part of your own agency to assist with
25 the groundwater modeling effort if you had wanted to do it?

1 A That's correct.

2 Q Nothing at all to prevent -- to prevent anybody on your team
3 from requesting the expert groundwater modeling within your
4 agency to assist on this project?

5 A Correct.

6 Q I want to move to a different area and ask you a question
7 about mining activities -- when the mining activity is going
8 on and this slow process of refilling the mine as mining
9 activities are going on. Okay. You know the basic plan is
10 to have mining operations going on and, as they move up each
11 level, they're going to fill the area that they just mined?

12 A Correct.

13 Q Okay. And you also know that in the post-mining when mining
14 is completed, then the plan is to flood the mine with water?

15 A Correct.

16 Q And to essentially leave it in place?

17 A Yes.

18 Q Okay. Now, just a few questions about that. And we also
19 know that they intend to utilize the rock from the TDRSA
20 area mixed with limestone and put that back into the mine.
21 That's essentially the plan; right?

22 A Yes. Okay. Yes.

23 Q Okay. Now, you indicated that there was a process that is
24 authorized by the Part 31 Rules that would have allowed that
25 particular activity to have been considered by the mining

1 team and considered that as part of the Part 632 process?

2 A Yes.

3 Q Okay. Who at -- who in the Part 31 team that you've
4 identified -- who made the decision that this was not going
5 to be a discharge -- that this was not going to be
6 considered a discharge?

7 MR. REICHEL: Counsel, could you clarify the
8 question? What do you mean "this"? Re-flooding the mine?

9 Q That re-flooding the mine or that this activity of putting
10 materials down into the mine either during or after
11 operations was not a discharge, who made that ultimate
12 decision?

13 A Based on discussions with staff, that's my responsibility.

14 Q And that was a decision that you made?

15 A Correct.

16 Q Okay. What kind of analysis did you do of what was going to
17 be placed down into the mine if you personally made that
18 decision? Did you do any sort of analysis to determine what
19 it was that was going to be down in the mine?

20 A No.

21 Q Did you do any sort of analysis as to -- or did you know
22 when you made that decision what the level of contamination
23 of the water was going to end up being?

24 A Not in detail.

25 Q Okay. Did you make any sort of analysis as to whether or

1 not that water is going to remain in that area? Im other
2 words, did you make any sort of determination or analysis as
3 to whether or not that water could move into other aquifers
4 that are adjacent to the mine cavity?

5 A No, I did not do that analysis.

6 Q Okay. Did anybody?

7 A It is my understanding that the OGS staff would have
8 conducted that analysis pursuant to their rules and statute.

9 Q Was there a determination as to whether materials that were
10 going to be in the re-flooded mine were inert?

11 A No.

12 Q Did you make any sort of determination or did you conduct
13 any sort of analysis as to whether or not there were
14 aquifers that were usable that were adjacent to the mine
15 itself -- to the mine cavity?

16 A Uh-huh; yes.

17 Q You did?

18 A No, not personally. No. I'm sorry.

19 Q Okay. Who did? It sounds to me as if you're going to
20 suggest that somebody did?

21 A Technical staff.

22 Q Okay. And who was that technical staff that did that?

23 A Geologist, Mr. Chatterson.

24 Q What did he report to you on that issue?

25 A Simply that the basic -- the geology of the -- of the area.

1 Q Do you have an understanding as to whether or not those
2 aquifers are usable?

3 A I believe they are.

4 Q They are usable. Okay.

5 MR. EGGAN: Your Honor, just a minute.

6 JUDGE PATTERSON: Okay.

7 Q I've got a question for you about MDEQ Rule 323.2218(2).

8 MR. EGGAN: Jan, could I have that please. MDEQ
9 323.2218.

10 Q Do you have those rules in front of you, Mr. Janiczek?

11 A Yes, I do.

12 Q Okay. Good. That'll help.

13 MR. EGGAN: If you wouldn't mind showing the
14 2218(2). That's okay.

15 Q And that rule provides, doesn't it, sir -- and I'm really
16 looking at the main paragraph. Okay. (a) and (b) will come
17 into play possibly in a few minutes. But the main paragraph
18 provides at least in part:

19 "In addition, the proposed system for treating the
20 wastewater to be discharged shall have sufficient
21 hydraulic capacity and detention time to adequately
22 treat the anticipated organic and inorganic pollutant
23 flow rate."

24 Did I read that correctly?

25 A That's correct.

1 Q Okay. Essentially what we're saying here is that a
2 wastewater treatment facility needs to have sufficient
3 capacity to treat the water that arrives there?

4 A Correct.

5 Q Now, in this case -- and we'll maybe boil it down to its
6 essence -- we're talking about inflow. The MDEQ's analysis
7 of this issue really relied on Kennecott's proposal or
8 Kennecott's statement of what that inflow was going to be?

9 A The information that was contained in the permit
10 application, that's correct.

11 Q Exactly. Okay. It's essentially Kennecott's inflow numbers
12 that were used by the MDEQ in this matter?

13 A Correct.

14 Q And you know that we as Petitioners have suggested a
15 completely different inflow. In fact, we believe they
16 grossly understated the amount of inflow that's going to be
17 experienced?

18 A I have been present during part of that testimony, yes.

19 Q Okay. My question to you is, if we are right -- if we are
20 right, the Petitioners are correct, then Kennecott is not
21 going to be in compliance with this rule, are they?

22 A That's correct.

23 Q I also want to --

24 MR. EGGAN: Jan, if you wouldn't mind -- well, no.
25 I think we're okay. Look at (a) and (b) of that particular

1 rule, the one that we were just looking at. And again for
2 the record, I'll remind us all that this is MDEQ Rule
3 R323.2218(2). And now we're going to look at (a) and (b).

4 Q And what we're requiring in the basis of design is a
5 requirement of the volume of wastewater to be treated per
6 unit of time. That's (a).

7 A That's correct.

8 Q And that's the issue of the inflow. And we talked about the
9 fact that we disagree with it. And if they're incorrect
10 about their inflow, they will not be in compliance with this
11 rule?

12 A Correct.

13 Q Okay. (b) of that rule says that they also have to provide
14 Kennecott also has to provide an analysis of the influent or
15 a description of the anticipated influent including
16 substances to be treated to meet the requirements of -- and
17 there's a citation. Okay. I'll go ahead and finish reading
18 -- to meet the requirements of R323.2222 and the
19 concentrations of the substances." Essentially what this is
20 saying is that in the application for a basis of design for
21 a wastewater treatment plant has got to identify the
22 characteristics of the influent that is going to be coming
23 into the -- into the wastewater treatment facility?

24 A That's part of the characterization required under Rule
25 2220, yes.

1 Q Good. And in this instance, Kennecott has provided a
2 description of those characteristics?

3 A Correct.

4 Q And MDEQ didn't do its own analysis of what those
5 characteristics were. It simply utilized the
6 characteristics that were provided to them by Kennecott?

7 A That's correct.

8 Q All right. And if it turns -- and you know that the
9 Petitioners disagree with that. You were here for that
10 testimony. You know that we disagree with that?

11 A Yes.

12 Q You heard Ann Maest testify as to her conclusions?

13 A I'm aware of that, yes.

14 Q Okay. The bottom line is, if Dr. Maest is correct and
15 Petitioners are correct that the characteristics of that
16 influent are different than what Kennecott says and if the
17 Hearing Officer agrees with us, then they're not going to be
18 in compliance with that rule, are they?

19 A That's correct.

20 Q We know from the testimony of the Kennecott witnesses who
21 testified that they believe that the wastewater treatment
22 plant is tailored -- they used the word "tailored" -- to the
23 influent that they have predicted?

24 A Yes.

25 Q Okay. There would be no reason if it turns out that they

1 were incorrect and their tailoring was incorrect -- there
2 would be no reason in the world why you wouldn't make them
3 go back to the drawing board and redesign that system, is
4 there?

5 A That's --

6 MR. BRACKEN: Objection, your Honor. Foundation.
7 It calls for speculation. It depends on what was different
8 about the influent.

9 MR. REICHEL: I join the objection.

10 Q Is there any reason why you wouldn't require them to modify
11 their wastewater treatment facility if it needed to be?

12 A Well, Part 1, Section 1 of the permit requires a pilot study
13 during which time the facility -- Kennecott must demonstrate
14 that they can meet the influent limits in the permit. If
15 they cannot meet those limitations, they cannot discharge
16 according to the permit.

17 Q I understand that. Although I'm going to ask you some
18 questions about that in a minute. My question is, if it
19 turns out that this system is not tailored as they claim it
20 is, you're not going to hesitate to take action?

21 A That's correct.

22 Q And there would be no reason why they wouldn't have to go
23 back to the drawing board?

24 A The system would have to be designed to meet the conditions
25 of the permit that's been issued, yes.

1 Q You're familiar with the ASTM standards, I take it?

2 A Yes.

3 Q And those ASTM standards apply in Part 31, don't they?

4 A They do.

5 Q In fact, there are a number of references both in the
6 rules -- well, in your rules to ASTM standards?

7 A Correct.

8 Q Okay. And you would agree and would expect that MDEQ staff
9 that is analyzing groundwater modeling issues for a project
10 like this to have applied ASTM standards?

11 A For purposes of the hydrogeologic study, the rules give us
12 the flexibility to make evaluations of data on a
13 case-by-case basis.

14 Q Well, on a general basis?

15 A On a general basis, I would say yes.

16 Q Of course. A person who is analyzing an important project
17 like this should apply simple standards like those adopted
18 by ASTM?

19 A Yes.

20 Q Okay. And you're also familiar, I take it, with the MDEQ
21 groundwater modeling guidance that has been created by the
22 agency?

23 A Somewhat familiar, yes.

24 Q You would expect that MDEQ staff who are analyzing a
25 groundwater modeling project like this one with this

1 importance to apply the concepts in the groundwater modeling
2 guidance, wouldn't you?

3 A Yes.

4 MR. EGGAN: Jan, can you show me, please, document
5 100228?

6 Q Is this a document you've seen before, sir?

7 A Yes.

8 Q Groundwater modeling guidance?

9 A Yes.

10 Q Okay.

11 MR. REICHEL: Excuse me, Counsel. Can you
12 identify for the record what's --

13 MR. EGGAN: I will. This is Petitioner's Part 31
14 Exhibit 26. And what it is is the groundwater modeling
15 guidance document.

16 Q What I'm interested in knowing, Mr. Janiczek, is, the
17 document I have appears to be dated October 15th of '02. Is
18 there a more recent document than that?

19 A I'm not aware that there is.

20 Q Okay.

21 MR. EGGAN: Your Honor, this is that this witness
22 is familiar with, that this witness has indicated that he
23 would expect people to utilize as they analyze groundwater
24 modeling projects. I would ask that the court admit this
25 document into evidence.

1 MR. REICHEL: Your Honor, if memory serves me, I
2 think is already in evidence.

3 JUDGE PATTERSON: I was just going to ask that.

4 MR. EGGAN: Is it? Okay.

5 MR. REICHEL: I think it is in evidence.

6 JUDGE PATTERSON: I'll have to check that but --

7 MR. EGGAN: Is it 26?

8 MR. REICHEL: I believe it was your 26 or Mr.
9 Haynes --

10 MR. EGGAN: I did not bring my list of what's
11 admitted, so I apologize.

12 MR. REICHEL: No. That's fine.

13 JUDGE PATTERSON: Whose exhibit was it?

14 MR. EGGAN: It would have been mine.

15 MR. REICHEL: In any event, I'm not certain of the
16 designation, but I'm confident that this document is already
17 in the record.

18 MR. EGGAN: Okay. Very good; very good.

19 JUDGE PATTERSON: I seem to recall that. I can't
20 find it on the list at this point.

21 MR. EGGAN: It would have gone in through Dr.
22 Purcha. And I did not have my as I prepared, so I
23 apologize.

24 MR. HAYNES: Your Honor, my notes indicates that
25 that -- that the Part 31 Exhibit 26, which is this document,

1 was not offered or admitted. So perhaps we should do it
2 now.

3 JUDGE PATTERSON: Well, I'm looking at 632.
4 That's why --

5 MR. BRACKEN: Part 632, Mr. Haynes?

6 JUDGE PATTERSON: That's what I was looking at.
7 That's probably why I didn't see it.

8 MR. BRACKEN: It's on Part 31. My notes to that
9 indicate -- or our notes do not indicate that it was
10 admitted.

11 MR. EGGAN: Okay. Good. Well, then, in that
12 case, I'm going to offer this as Petitioner's Part 31
13 Exhibit 26 and request that it be admitted at this time.

14 MR. REICHEL: We have no objection since it's
15 apparently already in the record in another form. I mean,
16 it's already in --

17 MR. EGGAN: I don't think it is.

18 MR. REICHEL: I don't mean to argue, Counsel.
19 We're checking here. I'm advised by our staff who keeps
20 track of these things that it came in as a 632 exhibit. In
21 any event, we have no objection.

22 MR. EGGAN: Okay.

23 MR. BRACKEN: In which case I'm completely mixed
24 up, your Honor. If it came in through our case, that's
25 fine. I confess error.

1 MR. EGGAN: It's better to have two than not even
2 one. And that's what we're working under.

3 MR. EGGAN: It's Petitioner's Part 31 Exhibit 26.
4 (Petitioner's Exhibit 31-26 received)

5 Q Okay. Now, what we're looking at, sir, is one of your
6 rules. It is R323.2222 -- excuse me -- R323.2221(2)(c).
7 Okay?

8 A Correct.

9 Q Let's look at that together. And just for the record, what
10 (2) says is, "Except as provided in (6) of this rule a
11 hydrogeological report shall be in compliance with the
12 following provisions." And then (c) provides:

13 "Determine whether the discharge is to a usable
14 aquifer, an unusable aquifer, or groundwater not in an
15 aquifer. For an aquifer determine the groundwater flow
16 direction, groundwater velocity, three-dimensional flow
17 path of the discharge within the aquifer
18 interconnection with aquifers" --

19 And I can stop reading at that point. What I'm going to ask
20 you, sir, is this particular permit application, this
21 application did not contain a three-dimensional flow path of
22 the groundwater, did it?

23 A I disagree with that.

24 Q Did it have a document that indicated that this is the
25 three-dimensional flow path?

1 A No. But as the rule says, except as provided in subrule 6
2 we had adequate hydraulic information in the form of
3 horizontal and vertical gradients within the aquifer to make
4 that -- to make that evaluation analytically.

5 Q Okay. So you analyzed the materials that were provided and
6 that gave you what you believed to be a three-dimensional
7 flow path?

8 A Yes; that's correct.

9 Q But the document itself did not have a three-dimensional
10 flow path in it?

11 A That's correct.

12 Q Okay. It sounds to me as if you applied (6) to essentially
13 waive that requirement.

14 A I would -- I don't agree that we waived the requirement; we
15 simply didn't require a numerical model to make that
16 demonstration.

17 Q Not in the application?

18 A Correct.

19 Q I think you indicated earlier in your testimony on direct
20 examination from Mr. Reichel that it's important to have
21 this three-dimensional flow path to know where to monitor.
22 Am I right?

23 A Correct.

24 Q And this is part of -- is this what we call characterization
25 of the groundwater -- of the groundwater flow?

1 A It's part of it, yes.

2 Q Okay. And that's a very important step?

3 A Uh-huh (affirmative).

4 Q And it was not in the application?

5 A The data that was -- that we would require to make that
6 evaluation was in the application.

7 Q Well, you had to make that -- you had to make that
8 particular finding or else this application would have had
9 to been rejected as incomplete; am I right?

10 A Correct.

11 Q Okay. Now, we've moved on. We're still in 323.2221 but
12 we've moved on to (4) and we're going to (4)(g)(iv). Okay?

13 A Okay.

14 Q And essentially what that requires is a groundwater contour
15 overlay indicating groundwater flow direction?

16 A Correct.

17 Q You're familiar with that requirement?

18 A Yes.

19 Q Okay. We know that this application's hydro report does not
20 provide this document, does it?

21 A Which part of this document?

22 Q It does not provide a groundwater contour overlay indicating
23 the groundwater flow direction with a maximum contour
24 interval of one foot?

25 A The contour intervals were in excess of one foot; that's

1 correct. The contours were in there, but the interval was
2 greater than one foot, yes.

3 Q What was the contour interval?

4 A I believe it was five feet.

5 Q It was five feet, wasn't it?

6 A That's correct.

7 Q Okay. And that can actually make a difference in some
8 circumstances, can't it? You have it in your rules at one
9 foot.

10 A Right.

11 Q Right?

12 A That's correct.

13 Q Okay. And they did not comply with this section of the
14 rules, did they?

15 A That's correct.

16 Q Okay. And this is a requirement within your rules?

17 A That's right.

18 Q Okay. Was there a consideration given at the time to the
19 fact that the application is incomplete as a result of this?

20 A No.

21 Q Another waiver?

22 A The concept of the one-foot contour comes from the fact that
23 most of the sites we deal with are fairly small in nature.
24 Our discharge areas generally range from one acre; in some
25 applications where we are doing land application for

1 treatment they might be to 40 acres in size. If we had
2 strictly enforced the one-foot contour interval for this
3 facility based on the size and the area it would cover we
4 would basically have one solid black line.

5 Q What is the size of this facility, if you know?

6 A Ooh, the -- I do not -- I'm not sure what the exact acreage
7 is of the entire area under consideration for the
8 hydrogeologic study.

9 Q So you -- essentially you waived the one-foot requirement in
10 this particular application?

11 A Technical staff accepted five-foot contour intervals for
12 representation of the groundwater flow direction at those
13 intervals because that provided us with some information on
14 the broad scale that we would not have gained if we had
15 strictly adhered to the one-foot contours.

16 Q Was there a request by Kennecott for this particular waiver?

17 A I'm not aware of one.

18 Q Okay. Was there a finding by anybody other than technical
19 staff that a waiver should be granted in this context?

20 A No.

21 Q Did you -- or have you reviewed the tech -- excuse me -- the
22 treatment influent data in the application?

23 A No.

24 Q Are you aware that the application does not contain -- that
25 the treatment influent data in the application does not

1 contain important data?

2 MR. BRACKEN: I'm going to object to the
3 characterization.

4 MR. EGGAN: I think they'll be able to respond
5 with redirect.

6 Q Are you aware that it does not contain some data?

7 A I'm not aware of that.

8 Q For instance, it doesn't contain data with respect to
9 temperature. Were you aware of that?

10 A There were questions --

11 Q Are you aware that it does not contain data pertaining to
12 temperature?

13 A Yes.

14 Q Are you aware that it doesn't contain data pertaining to
15 total dissolved solids?

16 A Correct.

17 Q Doesn't contain data containing total suspended solids?

18 A Yes.

19 Q Doesn't contain data pertaining to alkalinity?

20 A Yes.

21 Q Doesn't contain data pertaining to total organic carbon.
22 You're aware of that?

23 A Yes.

24 Q You're also aware of the requirement in Rule R323.2220(6)
25 that a discharger shall use the best available information,

1 aren't you?

2 A That's correct. That's what that rule states.

3 Q All right. We can agree, can't we, sir, that boron is going
4 to be an issue at the wastewater treatment plant?

5 A That was an issue, yes.

6 Q Okay. You're aware that it was an issue raised by Ms.
7 Mariuzza?

8 A Yes.

9 Q Okay.

10 MR. EGGAN: Your Honor, I wonder if we might take
11 just a short break? This is a document I want to be sure we
12 track down.

13 JUDGE PATTERSON: Okay.

14 MR. EGGAN: I have some questions for him about --
15 and I've got it, but I just want to make sure that we all
16 have it.

17 (Off the record)

18 MR. EGGAN: Your Honor, I believe we found what we
19 were looking for.

20 JUDGE PATTERSON: Good.

21 MR. EGGAN: It is Respondent's Exhibit Number
22 166 -- Respondent's Exhibit 166 and it is an e-mail from
23 Eric Chatterson to Jeanette Bailey dated May 10th of 2006.

24 Q Mr. Janiczek, you are copied on this memorandum I take it?

25 A Yes, I believe I was.

1 Q This is from Mr. Chatterson to Jeanette Bailey and as I
2 indicated you were copied on it. My question is, it says,
3 "I have" -- the first paragraph says, "I have reviewed my --
4 I have completed my review of Kennecott's response to my
5 March 22 comments. I would like additional information
6 regarding groundwater modeling/mounding calculations." And
7 he then goes on to talk about a model, a particular model.
8 Do you know what model he was referring to?

9 A That was the -- I believe that was the MODFLOW model that
10 was submitted by Kennecott that was used to evaluate the
11 modeling conditions at the treated water infiltration
12 system.

13 Q Do you know what the name of the company was that -- you
14 probably know there were a number of models done in this
15 application?

16 A Yes, there were. And I'm not aware exactly of which
17 company's model this was.

18 Q Okay. In any event, that last paragraph on the first page -
19 - and this, by the way, is a two-page memorandum, but I'm
20 going to draw your attention to the last paragraph on this
21 first page. And what that paragraph says is, "The comment
22 in the conclusion section" and he goes on to a comment. I'm
23 going to read the second sentence to you. "The model is not
24 able to determine this, because it has not been calibrated,
25 does not use realistic boundary conditions, has an

1 excessively large cell size, and has not modeled relevant
2 surface features such as rivers, seeps or bedrock outcrops."
3 That's a concern that was being expressed by Mr. Chatterson
4 at that time. Am I right?

5 A Correct.

6 Q Did you have a discussion with him after this -- after
7 reviewing this document about this issue?

8 A Eric and I would have had discussions throughout the
9 process.

10 Q Okay. Did he express his concern over this particular model
11 to you at that time?

12 A Yes.

13 Q And did he tell you at any time that those concerns had been
14 addressed?

15 A Eventually they were addressed.

16 Q Okay. And do you know how they were addressed?

17 A They were addressed by focusing the model on the mounting
18 calculations rather than trying to make interpretative
19 statements about groundwater flow direction in the vicinity
20 of the model.

21 Q That goes back to my question. And I apologize for more or
22 less trying to do discovery through you, but I'm trying to
23 get a sense for which model we're dealing with and how it is
24 that this analysis occurred.

25 A Eric will have to sort that out.

1 Q All right. I was afraid you would say that. In any event,
2 pretty critical comments about a model that had been created
3 by the applicant in this case?

4 A Yes.

5 Q Okay. And this was part of the application that had been
6 submitted?

7 A It was part of the information required as part of the
8 hydrogeologic study for the application, yes.

9 Q Of course. And so, again, this was pretty critical
10 commentary of work that had been done on behalf of the
11 applicant?

12 A Yes. This is -- this analysis was related to the evaluation
13 of the mound at the water infiltration system.

14 Q Okay. Do you know whether Mr. Chatterson ever ran his own
15 models?

16 A I believe he did, but I can't absolutely for sure.

17 Q There was some modeling done recently by a company called
18 GeoTrans. Are you aware of that?

19 A I have not looked at that in any detail whatsoever.

20 Q Okay. My question is, has that GeoTrans modeling that was
21 done in April of 2008 been in any way submitted to the MDEQ
22 for review?

23 A I'm not aware that it has. I don't know that.

24 Q Hadn't been reviewed by you in any event?

25 A That's correct.

1 Q Okay. If it had been submitted who would it have been
2 reviewed by, or how could it have been submitted without you
3 knowing, I guess?

4 A It would have simply come through me, but it would have been
5 reviewed by Mr. Chatterson.

6 Q But you would know about it if it had?

7 A Usually mail comes through my office; simply that would be
8 the process.

9 Q All right. Again, the final paragraph here where it says --
10 where it describes some comments and again suggests they
11 should remove -- be removed, this comment says that the
12 comment in the application is illogical since the Salmon
13 Trout River was not modeled. So again, pretty strong
14 criticism of a model that was presented by and applicant in
15 this case.

16 A The comment relative to conclusions in the model that really
17 weren't warranted.

18 Q Okay. You offered some testimony today regarding Rule
19 323.2222(5)(a), inorganic substances?

20 A Uh-huh (affirmative).

21 Q Okay. Whether we agree with your analysis or not, we have
22 the rule requiring something and you apparently deciding
23 that that rule should be waived or interpreted differently?

24 A Interpreted differently, yes. We did not waive those
25 requirements.

1 Q Okay. Where in the rules does it give you the authority to
2 do that independently?

3 A Actually that is contained in the delegation memo from the
4 director that gives the authority to establish permit limits
5 in a permit pursuant to 3106 to the chief of the groundwater
6 permits unit.

7 Q When was that memo created?

8 A Can I check my references?

9 Q Sure.

10 A I have the date; I have it here. That was -- the most
11 recent version is dated December 16th, 2005. It is
12 delegation letter W, as in "water," B as in "boy," 31-11.

13 Q Does the delegation memo specifically state that you're
14 allowed to disregard the rules in Part 22?

15 A It says that I'm allowed to establish discharge limits in
16 the permit that are protective of the environment.

17 Q I thought that's what the Part 22 rules were for was to be
18 protective of the environment.

19 A That's correct; they are.

20 Q This apparently gives you the ability to decide that
21 something is more protective than the protections that are
22 required in the rule?

23 A The law says that the discharge cannot be injurious, and the
24 permit limitations that actually end up in the permit are
25 not injurious. We did not grant the permittee any waiver

1 from statutory requirements. We simply have different -- we
2 have different numbers in there that would have resulted
3 from a direct calculation.

4 Q Would that be the same for the discussion you had of Rule
5 323.2222(2)(a), the limitations on inorganic nitrogen?

6 A That's also an interpretation of the application of that
7 rule; that's correct.

8 Q Okay. And again, you utilized the director's delegation
9 memorandum to make a decision that --

10 A That's part of it, yes.

11 Q So we have the rules requiring something, the permit
12 authorizing something else, and so the answer to how this
13 occurred was you applied your judgment and decided that it
14 should --

15 A We didn't apply limitations that are not contained within
16 the rules. We simply based on the type of discharge chose a
17 different rule under which to establish the limitation. So
18 the limitation in the permit is not outside the Part 22
19 rules; it is simply a different rule under that group.

20 Q Okay. You used what you call the "default rule" in this
21 situation?

22 A Yes. The broad Rule 2204.

23 Q And what I'm wondering is, is that something that was -- you
24 were authorized to do by virtue of the director's delegation
25 memo, or is that just something you routinely do?

1 A The authorization comes from the delegation memo. And it is
2 something that we do on a -- not every day, but as stated
3 originally we have 40 or 50 permits that we have used that
4 rule to establish limitations.

5 Q I wanted to ask you also a few questions about the public
6 comment process. You apparently attended the public
7 hearings on this matter and were there for the public
8 comments?

9 A Yes, I did.

10 Q Would you agree with me that a majority of the people who
11 attended those public meetings and who offered comments were
12 opposed to this mine?

13 MR. BRACKEN: I'm going to object, because it's
14 irrelevant, your Honor. The number of people that come and
15 either say they're pro or con something certainly is not
16 relevant or --

17 MR. EGGAN: I'd like to respond to that, your
18 Honor. I'm going to resist -- I'm going to resist part of
19 what I have to say, but the idea that Kennecott would
20 suggest that the public's participation in this process and
21 the opinion of the public on this project is irrelevant is --
22 - it just says a whole lot about how Kennecott used this.
23 From our perspective it is entirely relevant given the
24 amount of public participation in this process to have on
25 the record to simply know whether the majority of the

1 comments offered by the public at the public hearings were
2 opposed to this process.

3 JUDGE PATTERSON: Well, I think that testimony has
4 come in from somebody else too.

5 MR. BRACKEN: I may already have been under
6 somebody else. This isn't a referendum.

7 JUDGE PATTERSON: No.

8 MR. BRACKEN: It's certainly not a referendum if
9 the people making the opinions state things that are
10 contrary to the rules of law. That's my point. It's in
11 under something else, but --

12 JUDGE PATTERSON: I think it's relevant. I'm not
13 sure what the probative value of it is frankly, but --

14 Q The majority of the comments against the mine permit being
15 granted?

16 A I would say yes.

17 Q Groundwater permit; against the groundwater permit being
18 granted?

19 A Yes.

20 Q Likewise, the public comments or the comments that were
21 received by you -- the written comments; again opposed?

22 A That's correct.

23 Q Okay. You indicated you reviewed all of them?

24 A Yes, we did.

25 Q And they became a part of the permit as it was approved?

1 A Certain sections changes were made as a result of public
2 comment; that's correct.

3 Q Okay. But in any event, public comment was an important
4 part of the determination, the approval of this permit?

5 A Yes.

6 Q Talk to me about the ten drafts of the permit. Where did
7 the -- where did the drafting process begin and how is it
8 that you end up -- ended up with ten different iterations?

9 A That is not -- that's a pretty routine -- ten is a little
10 high, but to have different drafts of permits is a pretty
11 common practice. We will -- based on technical discussions
12 with staff, based on additional information that we receive
13 the development of a permit as it -- prior to public
14 noticing is a dynamic process. And so as even minor changes
15 are made the permit would become redrafted, sent out for
16 technical staff to conduct reviews; they would comment. And
17 in this case it became a ten-permit interactive process.

18 Q Were those ten drafts maintained? The various iterations,
19 were they maintained in files?

20 A I'm not sure.

21 Q Do you have them in your files?

22 A No, not in my files.

23 Q Was there disagreement about -- among staff about the
24 various conditions and whether they were protective?

25 A There was certainly discussions, yes.

1 Q Were those -- did those discussions include disagreements
2 among staff as to the --
3 A Occasionally.
4 Q -- approval of this permit?
5 A No, I think the disagreements more were where standards --
6 or how standards were developed. This was a -- this was a
7 process where we had a number of people involved that
8 weren't routinely involved in groundwater permitting, and so
9 some of those technical staff voiced differing opinions and
10 we would always meet and resolve any issues.
11 Q Were there people on your staff that disagreed that a permit
12 should be issued?
13 A The final draft? No.
14 Q With any of the drafts.
15 A We made modifications to the drafts as the process developed
16 to take into account staff's opinions and technical review
17 commentary.
18 Q Did Kristen Mariuzza ever tell you that there was never --
19 that she was unable to find another mine in the world that
20 was operating with this particular unit process system?
21 A Not that I recall specifically; no.
22 Q Okay. Did she ever tell you that she was unaware of any
23 other mine operating in the world that would utilize a
24 reverse osmosis system on a 24-hours-a-day, seven-day-a-week
25 system?

1 A Again, not that I recall specifically; no.

2 Q Are you aware of that now?

3 A No.

4 Q Can you tell me of any mine that is operating anywhere in
5 the world that has this particular unit process system; this
6 series of units?

7 A Not that I'm aware of.

8 Q Okay. Or which operates a reverse osmosis system on a 24-
9 hour-a-day, seven-day-a-week basis?

10 A Not that I'm aware of.

11 Q Sir, do you recall receiving comments from the petitioners
12 in this case on or about October 17th of 2007?

13 A I don't recall the date. If you had specifics about the
14 comments I would be better able to recall.

15 Q I can help you out. We delivered written comments on behalf
16 of the Keweenaw Bay Indian Community, the National Wildlife
17 Federation, the Yellow Dog Preserve, and the Huron Mountain
18 Club on October 17th, which was the deadline date for
19 submission of written comments. Okay?

20 A Oh, okay.

21 Q Do you recall reviewing those comments?

22 A I'm sure we did. We would have reviewed all comments up
23 until the -- up until the deadline for the public notice
24 period.

25 Q But you don't have a recollection of having reviewed our

1 comments specifically?

2 A No.

3 Q Okay. But again, they certainly would have been part of the
4 consideration that the MDEQ applied in its decision making
5 in terms of approving this particular permit?

6 A Yes.

7 Q Okay. And you're aware that all comments were responded to?

8 A That's correct.

9 Q Including ours?

10 A That's correct.

11 MR. EGGAN: Okay. I don't think I have any other
12 questions. Thank you, sir.

13 THE WITNESS: Thank you.

14 MR. EGGAN: Mr. Haynes probably has some.

15 MR. HAYNES: Good afternoon, Mr. Janiczek. My
16 name is Jeff Haynes; I represent some of the petitioners in
17 this case.

18 CROSS-EXAMINATION

19 BY MR. HAYNES:

20 Q If we could, with Mr. Reichel's permission, turn to your
21 slides. We may have to do some switching of the projectors
22 to do this. And if we could go to slide 15. Do you have
23 that slide in front of you, sir?

24 A Yes, I do.

25 Q All right. I'm looking at the bottom portion of the slide

1 that deals with Rule 2222(5)(a), --

2 A Yes.

3 Q -- which describes the limits for concentrations that have
4 to -- that shall not exceed halfway between the background
5 groundwater quality and the generic residential criteria in
6 the Part 201. Do you see that?

7 A Yes.

8 Q So for the concentrations that are allowed under this rule,
9 those concentrations in effect allow substances above
10 background; is that right?

11 A That's correct.

12 Q So any such concentrations, if allowed, would exceed
13 background; correct?

14 A That's correct. The rule relative to background groundwater
15 quality says -- indicates that background can be taken into
16 account up until -- up to the Part 201 standard. If the
17 background already exceeds Part 201, then the discharge
18 cannot exacerbate the existent situation.

19 Q Right. And if background is -- if the background
20 groundwater quality is lower than the Part 201 standards,
21 then the 2222(5)(a) standards allow concentrations to exceed
22 background?

23 A That's correct.

24 MR. HAYNES: If we could turn to slide 26, please?

25 Q Mr. Janiczek, I'm looking at the second bullet on slide 26

1 and that bullet says, "As part of the permit application
2 process groundwater was no longer part of the treatment
3 system." And I believe you testified, and I just want to
4 make sure the record is clear here, that groundwater was no
5 longer part of the treatment system because Kennecott said
6 it would not exceed groundwater standards; is that right?
7 It would -- I'm sorry. Kennecott would say it would meet
8 discharge standards; right?

9 A Correct.

10 Q And so based upon that representation, then groundwater was
11 not -- no longer part of the treatment system?

12 A That's correct, relative to requiring a numeric transport
13 and fate model to evaluate water quality at the venting
14 location.

15 Q Right. And so you just took them at their word and said,
16 "We don't need to deal with that groundwater issue in this
17 case"; right?

18 A Relative to a numerical model; that's correct.

19 Q Right. Okay.

20 MR. HAYNES: Now, if we could turn to slide 28,
21 please.

22 Q Slide 28 deals in part with Rule 409 and Part 632. Do you
23 have that rule in front of you? Do you have the text of it
24 in front of you?

25 A I have the slide, the paraphrasing of the rule.

1 Q Well, it's an interesting paraphrase, sir, because I'm going
2 to read you the rule and ask if the rule -- if your
3 paraphrase is perhaps a little too generous. The rule --
4 this is R425.409 -- says,

5 "An operator shall manage overburden or waste
6 rock, peripheral rock and tailings determined to be
7 reactive under R425.203(c)(5) in accordance with this
8 rule and in a manner that is designed to reasonably
9 minimize actual and potential adverse impacts on
10 groundwater and surface water by preventing leaching or
11 runoff of acid-forming waste products and other waste
12 products from the mining process."

13 The rule says "an operator shall manage." What your slide
14 suggested, that -- is that the rule allows an operator to
15 manage, rather than requires an operator to manage. So the
16 slide isn't exactly accurate, is it?

17 A Actually, the rule is more demonstrative than the slide;
18 that's correct.

19 Q More demonstrative; it's --

20 A It absolutely requires --

21 Q It's a requirement, rather than a discretion?

22 A That's correct.

23 Q Okay. And so under this rule -- with that change, let's
24 look at what your slide talks about here. If the rule
25 requires an operator to manage waste rock, peripheral rock

1 and so in a manner designed to reasonably minimize actual
2 and potential adverse impacts on groundwater and surface
3 water by preventing leaching -- do you see that portion?

4 A Yes.

5 Q Okay. If in fact the waste rock as managed does not prevent
6 leaching, then as I think I recall your testimony, you would
7 then have to require that material to be managed under a
8 groundwater permit, wouldn't you?

9 A If they did not meet the conditions of 409 Rule, that is a
10 potential, yes.

11 Q Because I think you testified that this is the rule that you
12 used to say that all of the reflooding of the mine would not
13 need a groundwater discharge permit; right?

14 A Correct.

15 Q So if there was leaching from the management of the waste
16 rock and the ore, then there would be a necessity for a
17 groundwater discharge permit for the reflooding of the mine;
18 right?

19 A Theoretically that is correct.

20 Q Not theoretically; under the rule -- under your
21 interpretation of the rule.

22 A If they would no longer be in compliance with 409, that's
23 correct. It would be -- they would no longer have the
24 exemption under 2210(w).

25 Q Let's turn to slide 38. Mr. Eggen asked you several

1 questions about the ten internal permit drafts, which you
2 acknowledge is a little bit high for your normal permitting
3 process; right?

4 A Yes.

5 Q And I think you said that there was some disagreement among
6 staff that was eventually ironed out; is that right?

7 A Correct.

8 Q So that the permit that was issued was really a consensus;
9 was that right?

10 A Yes; that's correct.

11 Q It was a consensus by staff that with -- there were some
12 people that may have disagreed but they decided that their
13 disagreement wasn't sufficient enough, or else you overruled
14 them in order to get a permit issued; right?

15 MR. BRACKEN: I object to the characterization.
16 He hasn't ever testified that that's what happened.

17 MR. HAYNES: Well, I'm asking.

18 Q Did you overrule staff?

19 JUDGE PATTERSON: You can go ahead and answer.

20 A No, I didn't overrule staff. The final draft that went out
21 for public notice, everybody was in agreement that it met
22 Part 31 requirements to be protective of the environment and
23 not be injurious.

24 Q All right. And that was the view of your staff and of you;
25 right?

1 A Yes.

2 Q Would you agree with me that reasonable scientists
3 comparable to your staff might disagree with that
4 assessment?

5 MR. BRACKEN: Objection; it's irrelevant, lacks
6 foundation.

7 MR. HAYNES: I don't understand how it's
8 irrelevant that someone may disagree with DEQ staff about
9 whether a permit protects the environment. That's entirely
10 relevant.

11 JUDGE PATTERSON: I think --

12 MR. BRACKEN: I mean, it's a -- he isn't saying
13 which scientists; he hasn't -- there's no foundation for
14 that group of scientists. I mean, that's not the -- and
15 that's not the procedure under state law. It's now how you
16 get there, whether other people agree with the staff or not.

17 MR. HAYNES: Well, procedure under state law is
18 something that we're heavily enmeshed in here, but certainly
19 if this is a de novo hearing, a de novo review of what the
20 DEQ did by proposing to issue this permit, we can have --
21 and we have had scientists come in and disagree about
22 conditions in the permit. So it's entirely relevant and it
23 is entirely foundation for the question.

24 JUDGE PATTERSON: I'll overrule the objection.

25 Q Do you remember the question?

1 A Scientists always disagree about things.

2 Q Okay. And so you in fact have an expectation -- not an
3 expectation, but you've had in your experience with the DEQ
4 situations where persons not in the DEQ may disagree with
5 your decisions; right?

6 A Always.

7 Q Always? Okay. And sometimes the DEQ is proved wrong on
8 occasion?

9 A On occasion.

10 Q Mr. Egan asked you about the public comments in this
11 process and I'd like to follow up on some of those
12 questions. On slide 43 you talk about the 138-page compiled
13 responses that you helped prepare?

14 A Yes.

15 Q And you helped -- the DEQ prepared those responses to
16 comments because at least some of the comments contain
17 fairly technical questions, observations or objections to
18 what -- to the proposal; correct?

19 A That's correct.

20 Q And you felt and the rest of the DEQ, as far as you know,
21 felt it important or believed that it was important to
22 respond to those technical comments?

23 A In fact the responses were assigned to the individual
24 technical reviewers relative to their area of expertise.

25 Q Okay. And before you signed the Part 31 permit here you

1 reviewed the response documents, didn't you?

2 A Yes.

3 Q You felt it was important to review the response documents;
4 correct?

5 A Yes.

6 Q And you felt it important to consider the comments that had
7 been offered that were technical comments that related to
8 the Part 31 permit; correct?

9 A Absolutely.

10 Q Yes. And so would you agree with me that a responsible
11 decision maker in the DEQ should respond to such technical
12 comments?

13 A That's part of our process; that's how we -- that's how we
14 do things, yes.

15 Q Okay. You wouldn't just ignore them, would you? You want
16 them in the record that you were considering them, wouldn't
17 you?

18 A Yes, for our purposes.

19 Q Mr. Janiczek, you testified that as part of the permit
20 Kennecott once it constructs the wastewater treatment plant
21 has to demonstrate to the DEQ's satisfaction that the
22 wastewater treatment plant will work as proposed before it's
23 allowed -- before Kennecott it allowed to discharge to the
24 TWIS; is that right?

25 A Correct; that's correct.

1 Q Okay. And that demonstration can -- may take -- I think
2 it's up to 90 days you said?

3 A It's a minimum of 90 days; it's as long as it takes to
4 demonstrate compliance.

5 Q Oh, I see. Okay. So you haven't seen such a demonstration
6 yet, have you?

7 A No.

8 Q "No"? And you didn't see such a demonstration as part of
9 the permit application, did you?

10 A No.

11 Q "No"? I mean there --

12 A That demonstration assumes that the treatment plant is
13 built.

14 Q Oh, I see. But as part of the application that you and your
15 staff reviewed there was no study, there was no citation,
16 there was no paper or any document that showed that the
17 project -- that the wastewater treatment plant would
18 actually -- has actually in the past worked? You didn't see
19 any of that, did you?

20 A Has in the past worked? No.

21 Q "No"? Okay. And there wasn't any effort on the part of
22 Kennecott in its application and the various appendices to
23 show that it in fact would work?

24 A Well, I believe from Kristen Mariuzza's input is that she
25 reviewed each treatment process individually and on its

1 merits; that in fact based on that treatment process it
2 could achieve the limits as required in the permit.

3 Q Individually?

4 A Individually.

5 Q But there's -- you've never seen a demonstration that all of
6 the components altogether would work?

7 A No.

8 MR. HAYNES: Thank you. I've no further questions
9 at this time.

10 JUDGE PATTERSON: How much do you have?

11 MR. REICHEL: I'm going to try to keep it brief.
12 Do you need to leave right at --

13 JUDGE PATTERSON: At the latest I have to leave at
14 3:15.

15 MR. REICHEL: I think I have less than that.

16 JUDGE PATTERSON: Okay.

17 MR. BRACKEN: I'll be real quick.

18 REDIRECT EXAMINATION

19 BY MR. REICHEL:

20 Q Mr. Janiczek, Mr. Eggan asked you a series of questions
21 about whether or not you had worked on a permit involving a
22 mine or a sulfide mine. Do you remember that?

23 A Yes.

24 Q Okay. Let me ask you this. Have you ever worked on any
25 permits or been involved in any permits involving discharged

1 groundwater where some of the constituents of concern are
2 being regulated for metals?

3 A Yes.

4 Q Would these have been metals coming from industrial
5 processes?

6 A Yes.

7 Q To your knowledge, sir, is there something that makes a
8 metal coming from one industrial process, mining, chemically
9 different from a metal that comes from some other different
10 industrial process?

11 A Not that I'm aware of.

12 Q Mr. Egan asked you some questions about a document that was
13 identified as Petitioner's Part 31 Exhibit 10F, an e-mail
14 exchange you had with Janette Bailey about project
15 assignments?

16 A Yes.

17 Q And first of all, just so the record is clear, is -- Kristen
18 Mariuzza is a environmental engineer; correct?

19 A Correct.

20 Q Was Randy or is Randy Conroy an environmental engineer?

21 A Randy Conroy, my understanding, is a geologist assigned to
22 the U.P. district.

23 Q Now, I take it that from your prior testimony that you did
24 not assign Mr. Conroy to work on this project?

25 A That's is correct.

1 Q Who, if anyone else, did you assign to perform that function
2 of geological review?

3 A That was assigned to Mr. Eric Chatterson.

4 Q So it wasn't -- so and were you confident that Mr.
5 Chatterson was technically competent to perform the review
6 that you assigned to him?

7 A Mr. Chatterson had a number of years of experience in the
8 private sector working for a consulting firm, working with
9 the EPA in evaluating groundwater models. And it was the
10 modeling expertise of Mr. Chatterson that was one of the
11 primary reasons for him being assigned to this project.

12 Q You were also asked by Mr. Eggan if -- some questions about
13 budget limitations in the water bureau or in the DEQ at that
14 time. Do you recall that?

15 A Yes.

16 Q Let me ask you this, sir. Recognizing that all of us would
17 perhaps feel they would like to have more resources than we
18 have, in all seriousness, sir, do you believe that you had
19 adequate technical resources available to you to do a
20 adequate review of this permit application?

21 A We had the best people available to us within the Bureau to
22 conduct our reviews. The answer to that is yes.

23 Q You were also asked some questions about whether or not the
24 DEQ had undertaken to collect its own -- to hire its own
25 consultants on various subjects, outside consultants. Do

1 you recall that?

2 A Yes.

3 Q And I think similarly whether you had undertaken your own
4 data collection, or words to that effect?

5 A Yes.

6 Q Just so the record is clear, sir, as you understand Part 31
7 and the Part 22 rules, who has by law the responsibility to
8 provide the information necessary to -- for the Department
9 to make its decision?

10 A Rule 2206 requires that the applicant has to provide all
11 information necessary for the Department to make a permit
12 decision.

13 Q Now, you've testified that you relied upon information
14 provided by the permit applicant in this case. In your
15 experience, sir, in however many permits you've worked on
16 over the years, is -- who typically provides the application
17 needed in the permit?

18 A The information required, both administrative and technical,
19 is provided by the applicant. Can I add a bit?

20 Q Certainly.

21 A On occasion even though we really don't have -- the law
22 doesn't require it, we don't have the resources to hire
23 independent contractors, in this case during certain
24 portions of drilling activities staff were present during
25 those drilling activities to have firsthand knowledge of

1 information being gathered in the field.

2 Q Okay. And who would that have been?

3 A Mr. Chatterson.

4 Q You were asked by Mr. Eggan about whether or not you had
5 referred to or drawn upon expertise of DEQ staff outside of
6 your section, the permit section, specifically a groundwater
7 modeling program staff in connection to your review of this
8 permit application. Do you recall that?

9 A Yes.

10 Q You indicated you did not. Again, I think you touched on
11 this, but from your standpoint do you believe the staff that
12 you did assign to work on this project had sufficient
13 technical capability to perform the reviews that you needed?

14 A Yes, that was the primary reason -- again, based on his
15 professional experience the reason Mr. Chatterson was
16 assigned to this project.

17 Q I believe Mr. Eggan asked you a series of questions about
18 whether various certain parameters were included within
19 treatment influent data provided in the permit application;
20 for example, temperature, TDS, other parameters. Do you
21 recall that question?

22 A Yes.

23 Q Let me ask you this. Did the absence of that particular
24 information he asked you about -- did that adversely affect
25 your ability to review and consider the permit?

1 A No.

2 Q Can you explain why?

3 A Those substance -- those parameters: temperature, TDS,
4 there are no standards in the Part 22 rules for those
5 parameters. And one of the issues for surface water was
6 temperature and we received inquires from the surface water
7 assessment section as to whether or not temperature would be
8 an issue relative to this discharge. Our technical
9 evaluation was based on the travel time and the distance
10 from the discharge at the water infiltration system to the
11 venting location, that there would be ample time for the
12 temperature to equilibrate to that of natural groundwater.

13 Q Now, you were asked a series of questions about whether or
14 not the permit -- or how you interpreted it, I guess I would
15 say -- Rule 2222(5)(a). Do you recall being asked about
16 that?

17 A Yes.

18 Q And again, do you as a part of your responsibilities in
19 administering this aspect of the groundwater discharge
20 permitting program that you testified you've been
21 extensively involved with -- are you called upon on a
22 regular basis to interpret and apply the rules as written in
23 light of what you understand to be the statutory mandate
24 upon which those rules are based?

25 A Yes; yes.

1 Q And do you believe that you did so here?

2 A Yes, I do.

3 Q With respect to -- Mr. Haynes asked you some questions about
4 testimony you gave earlier about your understanding of the
5 exemption in Rule 2210(w). Do you recall that?

6 A Yes.

7 Q Of the Part 22 rules?

8 A Correct.

9 Q And again, is it your understanding that that apply -- what
10 does that apply to? Does it apply to another permit issued
11 by the DEQ?

12 A It applies to the 632 permit which governs the activities
13 within the mine area.

14 Q And in this case do you have some -- well, first of all,
15 you're aware obviously that the DEQ issued a Part 632
16 permit?

17 A Yes.

18 Q And you're aware, perhaps not in detail, that it requires
19 certain various conditions; correct?

20 A That's my understanding, yes.

21 Q And so -- and which presumably are intended to assure
22 compliance with Part 632; correct?

23 A Correct.

24 Q And so in making the determination that Rule 2210(w)
25 provided an exemption, were you or were you not relying upon

1 the parallel permitting decision made by another branch of
2 the DEQ?

3 A That was the basis for our decision to exempt the mine
4 activities from groundwater permitting.

5 MR. REICHEL: That's all I have, sir. Thank you.

6 MR. BRACKEN: Okay. Mr. Janiczek, I'm Jeff
7 Bracken; I represent Kennecott today. I just have a few
8 questions.

9 CROSS-EXAMINATION

10 BY MR. BRACKEN:

11 Q Near the end of your testimony by Mr. -- in response to Mr.
12 Haynes' questions you talked about Ms. Mariuzza. I
13 pronounced it right when she was here. It was your
14 understanding that she believed that each one of the unit
15 processes in the wastewater treatment plant would operate as
16 predicted by the Kennecott; is that correct?

17 A Yes; that's correct.

18 Q And was it also your understanding that Ms. Mariuzza agreed
19 that all the units in the series together would also work as
20 predicted by Kennecott, not just individually?

21 A That was her evaluation, yes.

22 Q Now, been a lot of questions about the comments that were
23 made and what the -- by the public and persons represented
24 by counsel, including some of these counsel, and what you
25 did with them. It's my understanding that you thought it

1 was your job to seriously review all the comments you
2 received from the public?

3 A That's correct.

4 Q And you did that in your division?

5 A We felt we did, yes.

6 Q Okay. Now, and in that respect you looked at them, but did
7 you rely on the entirety of those comments in your reports
8 or in your permit decision? Let me back up. They indicated
9 or they asked you whether you relied on some of those
10 comments. I'm asking you whether it's true that you relied
11 on the comments, or they spurred you to look at issues and
12 then you decided whether or not to put something in the
13 permit that that would be comment.

14 A If the comment was pertinent to our roles and
15 responsibilities under the statute and the rules and the
16 comment -- for example, the comment of the inclusion of
17 numerical limits in the groundwater. Yes, we did. We
18 certainly took those into consideration and made changes
19 accordingly to the permit.

20 Q The changes were made on your staff's technical review and
21 the desire that -- or the understanding that those should be
22 included in the permit as conditions or otherwise; correct?

23 A Correct.

24 Q It did not make -- it wasn't a reliance on the comments; it
25 was a reliance on your technical review; is that correct?

1 A Our technical review of those comments, yes.

2 Q Okay. So if there was a 40-page set of comments by somebody
3 and you looked at those and that spurred your division on to
4 make an evaluation of some of them and even include as
5 conditions in the permit some of them, it wasn't based on
6 the 40 pages of comments, was it?

7 A Correct.

8 Q Okay. You also talked -- there was a discussion about a
9 particular mounding analysis that you -- that was commented
10 upon. Do you remember the exhibit that was placed up on the
11 board?

12 A Yes.

13 Q Do you know if there were more than one mounding analyses
14 provided; there was more than one provided to the
15 Department?

16 A On that I'm not actually certain about that.

17 Q Okay. But you wouldn't disagree that there could have been
18 more than one?

19 A Yes, there could.

20 Q And in fact would you have expected once comments like that
21 were made that Kennecott would have addressed them?

22 A Yes.

23 Q And in fact you wouldn't have issued the permit, would you
24 have not, until you were satisfied that those concerns had
25 been adequately addressed by your staff?

1 A That's correct.

2 Q In the event that during the 90-day period or thereafter in
3 the operation of the wastewater treatment plant after
4 construction Kennecott cannot meet the standards in the
5 permit, what happens?

6 A Kennecott cannot discharge.

7 Q So there's no possibility that the environment will be
8 harmed if they can't discharge the water back into the
9 ground; is that correct?

10 A That's correct.

11 Q With respect to Part 1, section 12(c), I think it is, of the
12 permit, there's a number days that are granted to the
13 permittee in the event a limit for an effluent is exceeded.
14 Remember those rules?

15 A Yes.

16 Q Those reporting time frames; are they more or less
17 conservative than the minimum time frames required in Rule
18 227?

19 A As I indicated earlier those are more conservative than the
20 rule requirements.

21 Q So they are more protective of the public?

22 A They require a faster response time than is what is required
23 in the rules.

24 Q And that if there were a problem with an effluent the faster
25 response time would be more protective in the environment,

1 would it not?

2 A Yes.

3 Q With respect to attachment 1 in the expected effluent
4 quality; are the standards lower or higher than the Part 22
5 standards?

6 A The expected effluent quality is lower than the Part 22
7 standards.

8 Q And you have now made those the standards in effect; the
9 expected effluent qualities are really now the standards; is
10 that correct?

11 A That is what we expect to -- that is the -- attachment 1 is
12 the effluent quality that we expect to come out of the
13 treatment system.

14 Q And what if it doesn't come out like that; be in violation?

15 A There are requirements in the permit for them to evaluate
16 the treatment system to bring them back into compliance with
17 the attachment 1.

18 Q Okay. Is this -- the review that your Department undertook
19 with respect to this permit application, was it the most
20 thorough review ever conducted on your watch?

21 A Certainly one of the most --

22 MR. EGGAN: Your Honor, this is leading and it's
23 supposed to be direct examination, and it's also -- a lot of
24 this has been beyond the scope of cross.

25 Q Could you characterize how thorough a review you undertook

1 with respect to this application?

2 A This was one of the most thorough reviews that we have
3 conducted in the program.

4 MR. EGGAN: I'm shocked by the answer.

5 MR. BRACKEN: No further questions, your Honor.

6 JUDGE PATTERSON: Okay.

7 MR. EGGAN: Can I just ask one? And it's not even
8 controversial.

9 RE-CROSS-EXAMINATION

10 BY MR. EGGAN:

11 Q Do you know who it was that actually reviewed the comments
12 that were submitted by the petitioners in this case?

13 A Well, as I indicated to Mr. Haynes, they were assigned --
14 permit writer and myself went through the comments and
15 assigned them to the appropriate technical staff depending
16 on the type of question that was -- the comment that was
17 being received.

18 Q So if it was the wastewater treatment plan it would have
19 been Kristen Mariuzza?

20 A Kristen.

21 Q If it was TDRSA it would have been --

22 A Hydrogeology, Mr. Chatterson. Yes.

23 Q Very good.

24 A Actually that's not exactly correct, because by the time
25 comments were received Mr. Porter was now assigned to

1 respond to questions as Ms. Mariuzza had left the
2 Department.

3 MR. EGGAN: Thank you.

4 MR. HAYNES: Nothing further, your Honor.

5 MR. REICHEL: Nothing further, your Honor.

6 JUDGE PATTERSON: You brought it in right to the
7 minute.

8 (Hearing adjourned at 3:14 p.m.)

9
10 -0-0-0-
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25