

1 STATE OF MICHIGAN

2 STATE OFFICE OF ADMINISTRATIVE HEARINGS AND RULES

3 In the matter of: File Nos.: GW1810162 and
 4 The Petitions of the Keweenaw Bay Indian Community, Huron Part: 31, Groundwater
 5 Mountain Club, National Discharge
 6 Wildlife Federation, and 632, Nonferrous
 7 Yellow Dog Watershed Metallic
 8 Environmental Preserve, Inc., Mineral Mining
 9 on permits issued to Kennecott
 10 Eagle Minerals Company. Agency: Department of
 11 _____/ Environmental
 12 Quality
 13 Case Type: Water Bureau
 14 and Office of
 15 Geological
 16 Survey

12 D R A F T T R A N S C R I P T

13 HEARING - VOLUME NO. VIII

14 BEFORE RICHARD A. PATTERSON, ADMINISTRATIVE LAW JUDGE

15 Constitution Hall, 525 West Allegan, Lansing, Michigan

16 Wednesday, May 7, 2008, 8:30 a.m.

17
18 APPEARANCES:

19 For the Petitioner MR. ERIC J. EGGAN (P32368)
 20 Keweenaw Bay Indian Honigman Miller Schwartz and Cohn LLP
 21 Community: 222 North Washington Square, Suite 400
 22 Lansing, Michigan 48933-1800
 23 (517) 377-0726
 24
 25

1 For the Petitioner WILLIAM J. STAPLETON (P38339)
Huron Mountain Club: Hooper Hathaway Price Beuche & Wallace
2 126 S. Main Street
Ann Arbor, Michigan 48104-1945
3 (734) 662-4426
and
4 PETER K. DYKEMA (P37352)
Winston & Strawn
5 1700 K St. NW
Washington, DC 20006
6 (202) 282-5773
7
8 For the Petitioners JEFFREY K. HAYNES (P25140)
Yellow Dog Watershed Beier Howlett, PC
Preserve and National 200 E. Long Lake Road, Ste. 110
9 Wildlife Federation: Bloomfield Hills, Michigan 48304
(248) 645-9400
10 and
F. MICHELLE HALLEY (P62637)
11 National Wildlife Federation
PO Box 914
12 Marquette, Michigan 49855
(906) 361-0520
13
14 For the Respondent ROBERT P. REICHEL (P31878)
Michigan Department of Assistant Attorney General
Environmental Quality: Environment, Natural Resources and
15 Agriculture Division
6th Floor, Williams Building
16 525 West Ottawa Street, PO Box 30755
Lansing, Michigan 48909
17 (517) 373-7540
18
19 For the Intervenor CHRISTOPHER J. PREDKO (P56040)
Kennecott Eagle SARAH CATHERINE LINDSEY (P68544)
Minerals Company: Warner Norcross & Judd LLP
20 2000 Town Center, Suite 2700
Southfield, Michigan 48075
(248) 784-5000
21
22
23 RECORDED BY: Marcy A. Klingshirn, CER 6924
Certified Electronic Recorder
24 Network Reporting Corporation
1-800-632-2720
25

TABLE OF CONTENTS

PAGE

WITNESSES: PETITIONERS

JERRY LEE CURTIS

Direct Examination by Ms. Halley	1476
Direct Examination by Mr. Eggan	1501
Cross-Examination by Ms. Lindsey.	1503

DOREEN BLAKER

Direct Examination by Ms. Halley	1507
Cross-Examination by Ms. Linsey	1521
Recross-Examination by Ms. Halley	1523

HARLAN DOWNWIND

Direct Examination by Ms. Halley.	1524
Cross-Examination by Ms. Lindsey.	1539
Redirect Examination by Ms. Halley	1540

ROBERT H. PRUCHA, PH.D.

Direct Examination by Mr. Haynes.	1541
---	------

NOTE: Page numbers may change on final transcript.

EXHIBIT INDEX

PAGE

IDENTIFIED RECEIVED

Petitioner's Exhibit 632-145	1476
(Flaspohler slides)	
Petitioner's Exhibit 632-61.	1579
(Groundwater investigations, Marquette Iron Mining District)	
Petitioner's Exhibit 632-60.	1584
(Groundwater problems, Iron River District)	
Petitioner's Exhibit 632-64.	1588
(Report on underground hard-rock mining subsidence and hydrologic environmental impact report)	
Petitioner's Exhibit 632-62.	1638
(Groundwater Modeling guidance)	

NOTE: Page numbers may change on final transcript.
 Full exhibit list for today will be included in the final
 transcript.

1 Lansing, Michigan

2 Wednesday, May 7, 2008 - 8:40 a.m.

3 MR. DYKEMA: Your Honor, we have one unfinished
4 piece of housekeeping from Dr. Flaspohler.

5 JUDGE PATTERSON: Okay.

6 MR. DYKEMA: I offered yesterday the demonstrative
7 exhibits that we used with Dr. Flaspohler. Because I didn't
8 use all the slides, I took a few out, and I wanted to give
9 counsel some time to look at them before they responded to
10 my tender.

11 JUDGE PATTERSON: Right.

12 MR. DYKEMA: The demonstratives have been marked
13 as Petitioners 143. And I ask that they be admitted for
14 purely demonstrative purposes.

15 MR. PREDKO: You said purely demonstrative?

16 MR. DYKEMA: That's correct. Solely to illuminate
17 the transcript.

18 MR. PREDKO: With that stipulation, your Honor, I
19 don't believe that Intervenor has an objection. I just
20 would restate that the objection, to be clear for the
21 record, that I made yesterday with respect to there's a
22 letter in here from another expert and we would object to
23 that coming in as substantive evidence. But again to the
24 extent it's all demonstrative, used to illuminate testimony,
25 no objection.

1 JUDGE PATTERSON: Okay.

2 MR. REICHEL: That's the Respondent's position as
3 well. In other words, no objection to demonstrative
4 purposes.

5 MR. DYKEMA: Thank you, your Honor.

6 (Petitioner's 632-145 received)

7 MS. HALLEY: Petitioners call Jerry Lee Curtis.

8 REPORTER: Do you solemnly swear or affirm the
9 testimony you're about to give will be the truth?

10 MR. CURTIS: Yes, I do.

11 JERRY LEE CURTIS

12 having been called by the Petitioners and sworn:

13 DIRECT EXAMINATION

14 BY MS. HALLEY:

15 Q Would you state your name for the record spelling your last
16 name?

17 A Jerry Lee Curtis, C-u-r-t-i-s.

18 Q Thank you.

19 JUDGE PATTERSON: Is Jerry with a J or a G?

20 THE WITNESS: J.

21 JUDGE PATTERSON: J. Okay. Thank you.

22 Q Mr. Curtis, what is your educational background?

23 A Associate's degree in social work, counseling, certified
24 addictions counselor, certified drug and alcohol counselor.

25 Q What is your occupation?

1 A I'm the administrator for Keweenaw Bay Indian Community
2 substance abuse programs.

3 Q And where do you live?

4 A Baraga, Michigan.

5 Q Are you a member of the Keweenaw Bay Indian Community?

6 A Yes, I am, enrollment number 180.

7 Q How long have you been a member?

8 A Lifetime.

9 Q Do you hold an office for KBIC?

10 A Yes, I do. I'm a present council member, second year my
11 first term.

12 Q Council meaning the tribal council?

13 A Tribal council, Keweenaw Bay Tribal Government.

14 Q And what do you do in your role as a member of the tribal
15 council?

16 A First and foremost look out for the welfare and the general
17 well-being of the community.

18 Q Do you consider yourself part of the Anishinaabe Nation?

19 A Yes, I do.

20 Q Could you describe to the Court what the word "Anishinaabe"
21 means to you?

22 A To me, that's the first people, the original, the
23 Anishinaabe. Anishinaabe is the plural, the original.

24 Q And what lifestyle does it mean to be -- what lifestyle
25 decisions do you make based on being Anishinaabe?

1 A Try to lead a -- set a good example for the young, for the
2 youth, walk -- we call it the Red Road, some of us, walking
3 the straight and narrow.

4 Q What does that mean?

5 A For me, it was -- I'm a recovering alcoholic. I've been in
6 recovery for 15 years plus. And, to me, that's probably one
7 of the biggest contributions I can make is being sober and
8 being a good example for the youth of our community and
9 following some of our traditions, if not all of them.

10 Q Which traditions do you follow?

11 A I sing and drum. It's a group -- our drum is call the Four
12 Thunders. We work with the youth and we teach the youth.
13 Sweat lodges, we participate in, different pipe ceremonies,
14 healing ceremonies.

15 Q What's the purpose of those ceremonies?

16 A It depends on which one you want.

17 Q Could you just walk us through each one and briefly tell us
18 what --

19 A Sweat lodge -- sometimes it can be a healing lodge. You go
20 in to purify yourself like getting a new beginning, probably
21 equated to maybe a baptismal is the Western concept of it.
22 Pipe ceremony, that could be -- that's praying. It would
23 depend on -- it could be a naming ceremony, it could be a
24 funeral, a walking on ceremony, traveling ceremony. There's
25 an abundance of different things that we do with the

1 tobacco.

2 Q So it sounds like your life is marked by these ceremonies?

3 A I would say indirectly as -- prior to my coming into
4 recovery, I knew enough to stay away from that thing. It's
5 quite disrespectful when you're using and under the
6 influence. And once I started my road in recovery, that's
7 when I kind of really focused on my tradition and my
8 culture.

9 Q Mr. Curtis, have you ever been to the Yellow Dog Plains?

10 A Yes, I have.

11 Q Could you describe the Yellow Dog Plains for us?

12 A Well, it's a hunting and gathering place that I've been
13 going to since I was a child. Mainly hunting for me,
14 fishing up in that area from the Big Huron all the way
15 through the Triple A Road out to West Branch.
16 Blueberries -- I know my family picks blueberries there.
17 It's a pristine place, a lot of nature. My brothers and
18 sisters are the animals.

19 Q If we were standing on the plains right now, what do you
20 think we would hear?

21 A An abundance of animals, nature, birds, waterfalls.

22 Q Do you see a lot of traffic when you're out on the Yellow
23 Dog Plains?

24 A Not really. Once in awhile I'll run in to another
25 four-wheel drive or something, maybe a logging truck; not a

1 whole lot of traffic.

2 MS. HALLEY: DEQ Exhibit 31.

3 Q Have you been to a place called Eagle Rock?

4 A Yes, I have.

5 Q Could you locate Eagle Rock for us on this map? This is
6 from DEQ Exhibit 31. It's figure 4.2 -- or 4-2. Excuse me.

7 A Right there (indicating).

8 Q That's Eagle Rock right there?

9 A Yes, it is.

10 Q Okay. What is that orange line through it?

11 A I believe that's the proposed tunneling, I think.

12 MS. HALLEY: Could you put up number 11 -- slide
13 11?

14 Q This is Petitioner's Exhibit 11, slide 11, which is already
15 admitted. What is this a picture of, Mr. Curtis?

16 A Eagle Rock.

17 Q And you've been to Eagle Rock?

18 A Yes, I have.

19 Q Okay. Is Eagle Rock important to the Anishinaabe people?

20 A I believe it is.

21 Q Why is that?

22 A Sacred grounds. By way of sacred grounds, I would say our
23 ancestors going back probably to time immemorial.

24 Q Doing what there?

25 A Praying, having different ceremonies there.

1 Q Could you describe what you know about the history of Eagle
2 Rock?

3 A As far as I know, it's -- the connection that I have
4 personally is the cultural. It's been passed on through the
5 generations. It's just the overall sacredness. To me it's
6 like a -- part of Grandmother -- Grandmother Earth.

7 Q How often do you go there?

8 A A couple times a year, three times a year for specific
9 reasons. If I go hunting, then I'll make it a point to stop
10 there and go lay my tobacco down and sit there awhile and do
11 some praying.

12 Q What do you mean by "lay your tobacco down"?

13 A That's the way our prayers are carried up to the creator.

14 Q And when you're there at Eagle Rock praying, what is it
15 like?

16 A Oh, a connectiveness. I can't explain it. I'm trying to
17 think of an example. Just hitting that area probably, just
18 coming in that -- I think coming around that second big
19 corner, if you're traveling back to Skanee area, the Big
20 Eric's Bridge, it's kind of like -- it gives me goose bumps,
21 so to speak. It's like there's a connectiveness there
22 that's always been there. It's kind of like when I drove
23 through the Dakotas and they said to me, "You're going to
24 feel something when you hit the Badlands." And that's
25 probably similar to what I felt.

1 Q What do you think that "something" is?

2 A The spirits, my ancestors.

3 Q Is it noisy at Eagle Rock when you've been there in the
4 past?

5 A No.

6 Q Do you see animals?

7 A I've seen deer, I've seen a couple wolves, coyotes, martins,
8 pine martins.

9 Q Do you see unique plants?

10 A I see -- there's plants, but I can't identify some of them.
11 But there is vegetation there.

12 Q Okay. And when you go to Eagle Rock to pray, do you see
13 other people?

14 A What do you mean?

15 Q I mean, do you usually see other visitors, other human
16 visitors at Eagle Rock?

17 A The last two times I've seen -- I think -- I don't know if
18 it was part of Kennecott or somebody was doing a survey or
19 doing something up there on the rock when we walked upon.
20 And then another time there was -- our TPHO officer was up
21 there.

22 Q Your what?

23 A TPO officer.

24 Q Okay. Can you state for the record what "TPHO" means?

25 A It's Tribal Preservation Historical Officer.

1 Q Okay. Thank you. Before that, the last two visits, did you
2 normally see people there?

3 A Not really, not when I've -- I've seen a passerby maybe -- I
4 think twice there was two cars that went by. But I
5 haven't --

6 Q Is solitude part of the reason you go to Eagle Rock?

7 A Without seeking that, yes. Because it's -- usually when
8 I've been there, that's what it is. You know, it's very
9 quiet around there.

10 Q You described some of the ceremonies that you do in your
11 daily life before. Could you describe any ceremonies that
12 you do at Eagle Rock?

13 A I've smoked the pipe up there.

14 Q And what is the significance of smoking the pipe?

15 A It would be an honor in letting our asema go up to our --
16 our prayers are being carried through that pipe through the
17 asema up to the creator.

18 Q What is asema?

19 A Tobacco. Excuse me.

20 Q Thank you. Okay. And what other ceremonies might you do at
21 Eagle Rock or have you done?

22 A I haven't done any. But I've heard of a sweat lodge being
23 put up there and a couple of neighboring tribal members have
24 done a sweat up there.

25 Q But you go there and pray?

1 A Right. That's my mainstay for that is praying.

2 Q Okay. There's been some talk about leaving the top of Eagle
3 Rock undisturbed but carrying out the mining activities in
4 it and around it. If that were the case, would you still go
5 to Eagle Rock to pray?

6 A Not if it was illegal, if it's fenced off, so to speak. And
7 that's my understanding that's what it's going to be is
8 inaccessible. And to me that's going against what I believe
9 in.

10 MS. HALLEY: Could you put the map back up?

11 Q This is figure 4.2 again that we looked at a few moments
12 ago. Do you see that gray outline sort of around the
13 perimeter there? Could you outline that for us, please?

14 A Uh-huh (affirmative).

15 Q It's a little hard to see but -- yeah, that looks like it.

16 A Uh-huh (affirmative).

17 Q Okay. Does it look to you like Eagle Rock is inside or
18 outside that fence line?

19 A It's inside of it. It's right there.

20 MS. HALLEY: Could you pull the page 5? This is
21 Petitioner's Exhibit 118, page 5.

22 Q Mr. Curtis, could you read provision number 10? This is the
23 permit as it was issued to the company. This is page 5 of
24 the special conditions. Would you read number 10, please?

25 A "The permittee shall construct and maintain an 8-foot high

1 chain link fence surrounding the surface facilities as
2 detailed in Figure 4-2 of the permit application."

3 MS. HALLEY: Okay. Could you go back to the
4 Figure 4-2?

5 Q So this is Figure 4-2 that was just referenced in the
6 permit. And you outlined the fence for us. Is it your
7 understanding that Eagle Rock would indeed be fenced off?

8 A Yeah, that's what I believe.

9 Q And you testified that you would not go to Eagle Rock if it
10 were illegal to do so?

11 A Right.

12 Q So does that mean that you would be precluded from using
13 this as you described it, sacred site?

14 A Yes, it will.

15 Q Let's assume for a moment that you could legally access
16 Eagle Rock and that the mining were going on. Okay. You're
17 aware that the orange line, as you described it, signifies a
18 tunnel through Eagle Rock; is that correct?

19 MS. LINDSEY: Objection. Foundation. Tunnel
20 through Eagle Rock? I'm going to object to the foundation
21 of this witness testifying as to that.

22 Q Mr. Curtis, what is your understanding of the orange line on
23 this map?

24 A It's desecrating -- to me it's desecrating the sacred
25 ground, drilling right through it. Whether it's top, bottom

1 middle, it's still desecration.

2 Q Would it affect your ability to use Eagle Rock as a sacred
3 site?

4 A It wouldn't affect me. It would affect my ancestors, the
5 spiritual connection.

6 Q How so?

7 A It would be like -- with all due respect, I'm trying to give
8 you an example -- going to another -- like a burial grounds
9 of a cemetery, maybe digging holes or boring through a
10 public cemetery. You don't see that too often. I haven't
11 seen that ever. And that's what I would liken that to,
12 total disrespect and desecration of sacred grounds.

13 Q Sacred grounds that your ancestors used?

14 A Right.

15 Q Could you just go someplace else and pray?

16 A I could. But why should I?

17 Q Could you have the same experience someplace else that you
18 have at Eagle Rock?

19 A Not really. I don't think I'd have that same
20 connectiveness.

21 Q Why not?

22 A Because of the disturbance that they're going to my
23 ancestors.

24 Q What I'm wondering is if you could go to another place to
25 pray and have the same experience that you have had at Eagle

1 Rock in the past?

2 A I don't think so.

3 Q Why not?

4 A It would be like -- it would be like asking the Sioux, who
5 are in the Black Hills, to put them over somewhere else and
6 say, "Go have your ceremony. Go over there." And there's
7 just not that connectiveness there.

8 MS. LINDSEY: Your Honor, I'm at this time going
9 to renew our motion to exclude. As I understood their
10 representation and the testimony of these witnesses, it was
11 going to be to establish standing and to say that they have
12 standing to bring this suit because they use that area. As
13 all of this testimony is coming in now, I understand that it
14 sounds to me like they're trying to say that this is a
15 reason to deny the permit. And as we had raised in the
16 motion to exclude that we filed two months ago, we said that
17 whether this is used for spiritual purposes or cultural
18 resources, this was not part of the decisional criteria for
19 Part 632 or Part 31. And it now sounds to me like the
20 testimony that they're attempting to elicit is that this is
21 a reason for denying the permit. So if -- I can go into the
22 reasons. But if you remember the motion --

23 JUDGE PATTERSON: I do remember the motion.

24 MS. LINDSEY: Okay.

25 JUDGE PATTERSON: Ms. Halley?

1 MS. HALLEY: Your Honor, the Rules and
2 specifically Rules 425.202(2)(p) clearly indicates

3 JUDGE PATTERSON: Is that 202?

4 MS. HALLEY: Uh-huh (affirmative). 202(2)(p).

5 JUDGE PATTERSON: Okay. I got two sub what?

6 MS. HALLEY: (p).

7 JUDGE PATTERSON: (p).

8 MS. HALLEY: Which includes a list of things that
9 the applicant was supposed to include in their environmental
10 impact assessment analysis. And one of the things in (p) is
11 places of worship.

12 JUDGE PATTERSON: I'm still looking for that. Sub
13 (2)(p)?

14 MS. HALLEY: Yes. The numbering in that section
15 is --

16 JUDGE PATTERSON: Yeah. It's confusing.

17 MS. HALLEY: It is. On my version, it's page 23.
18 If we have the same version, that might help.

19 JUDGE PATTERSON: Okay. I've got it.

20 MS. HALLEY: Okay. So places of worship is one of
21 the items listed in (p). And this testimony is imminently
22 relevant to (p).

23 MS. LINDSEY: And, your Honor, this was the basis
24 of the motion that we brought specifically addressing and
25 setting for the legal arguments as to why Eagle Rock does

1 not fit within places of worship under the requirements of
2 the EIA. We specifically raised this issue. And the
3 reasons that we got was that we weren't going to put these
4 witnesses on for anything other than standing.

5 MS. HALLEY: No. The issue that was briefed and
6 discussed was the issue of EE. If you look further down
7 that page, your Honor, you'll see cultural, historical or
8 archeological resources.

9 JUDGE PATTERSON: Right.

10 MS. HALLEY: And even on that issue it was only
11 Mr. Egan that stipulated under Part 31 only to calling
12 these witnesses only for standing. Mr. Haynes nor I have
13 ever stipulated to anything like that.

14 MS. LINDSEY: Okay. Well, my understanding of the
15 Part 632 response was -- this is what they said.

16 "Kennecott's argument is beside the point. Petitioners
17 intend to call witnesses from the Keweenaw Bay Indian
18 Community not for the purposes of establishing that any
19 portion of the mining area is listed on a register but
20 rather to establish standing."

21 They did represent. And further, --

22 MS. HALLEY: Your Honor --

23 MS. LINDSEY: -- if I may, they said that none of
24 the witnesses identified by Petitioners will seek to assert
25 new claims. And I think that perhaps they were trying a

1 little too hard to be cute and distinguishing this without.
2 But the point is we raised the issue that whether you want
3 to do (p) or whatever you want to go under, that we raised
4 the issue of not going beyond standing with these witnesses.
5 And specifically the reason we raised it two months ago was
6 because we did not understand this to be part of the 632
7 petition, part 31 petition, and we specifically raised it
8 because, if we were going to have these issues two months
9 ago as part of this case, we certainly needed to know that.
10 We relied on the representation that there was nothing new
11 being raised. And now they're going under a specific --
12 "Well, we didn't address your legal arguments at all, but we
13 said they would be represented -- brought in only for
14 standing." And now we've prepared our case and gone
15 forward. And we're in the middle -- two weeks into trial
16 we're hearing that, "No, actually we want to get into
17 whether this is a place of worship," which was specifically
18 argued and addressed in our motion.

19 MS. HALLEY: Your Honor, we are not asserting that
20 any of these locations are listed on any register, which is
21 what that motion addressed. We're not making that assertion
22 at all. These witnesses are not testifying about any
23 listing, nothing of the sort. They are testifying about
24 their personal use of this site. And for the Defendants
25 here to claim that this is somehow new information to them

1 is ridiculous. Our comments included a report about the
2 significance of Eagle Rock. The DEQ has, in fact -- and the
3 DNR have both held consultations with members and
4 representatives and of KBIC on this very issue. In fact, I
5 don't think Mr. Curtis himself testified at the hearings in
6 Marquette. But certainly tribal members have testified over
7 and over again about the religious significance of Eagle
8 Rock and the plains to them. This is in no way new
9 information.

10 MR. EGGAN: Absolutely not, your Honor. Can I can
11 just interject. I may have contribution to the confusion
12 here, because I did speak to Mr. Kohl shortly after their
13 motion to exclude was filed. And I made it clear to him
14 that I would be calling witnesses from the tribe that would
15 be testifying on standing issues. But I made it absolutely
16 clear to him at the time that there would be -- that the
17 Part 632 folks would be calling some witnesses from the
18 tribe to testify about what I called at the time the worship
19 issue. And so Kennecott is not surprised by this issue. We
20 have discussed it.

21 And furthermore, I think the record should be
22 clear that we did what we said we were going to do. We
23 called witnesses on the Part 31 side. And it should be no
24 surprise to anybody that we had this other segment of
25 witnesses that we talked about with Kennecott and who are

1 here now testifying. This is not a surprise issue. And
2 nobody is trying to be cute with this at all. It's an
3 important part of the 632 case.

4 MS. HALLEY: Your Honor, I might point out that
5 the previous tribal witnesses also testified about the
6 religious significance of Eagle Rock with no objection.

7 MR. REICHEL: Judge, I'd like to be heard on this.
8 Because leaving aside any claim of surprise or lack thereof,
9 I think, if this testimony is being proffered on the
10 proposition that it's relevant to the Petitioners'
11 challenger that the environmental impacts -- first of all,
12 this Rules deals with the prescribed contents of the
13 environmental impact statement. Counsel has suggested that
14 this testimony is relevant to whether or not the
15 environmental impact statement addressed this particular
16 requirement in (2)(p) of the Rule. I submit that it is
17 not, given the plain language of the Rule, relevant. If
18 your Honor looks at the text of the Rule, which I'm quoting
19 here, "Residential dwellings, places of business, places of
20 worship, schools, hospitals, government buildings or other
21 buildings used for human occupancy all or part of the year."
22 Reading the text of this Rule as a whole, particularly the
23 last clause, on its face it's clear -- what it contemplates
24 is that that EIA was required to address the existence and
25 the potential impact on buildings of the various kinds that

1 are used for human occupancy for all of part of the year.
2 It is manifest and indeed one of the previous witnesses
3 testified that Eagle Rock is not a building. The activities
4 that have been described by the witness do not occur in a
5 building. So as a purely legal matter, if the claimed
6 relevance of this testimony is under (p), I don't think it
7 applies to (p).

8 MS. LINDSEY: Thank you, Mr. Reichel. And we --
9 that was going to be my other thing. Wholly apart from
10 whether this comes as a surprise is the legal argument which
11 we did brief as well. This is something we briefed and they
12 chose not to address the legal argument on when we briefed
13 it. And I would just also like to say that, on the Part 632
14 witness list, I don't believe any of these witnesses are
15 listed on Part 632. And as I understand --

16 MS. HALLEY: No. But we did reference the
17 witnesses on the other lists by incorporation.

18 MR. EGGAN: And I placed a special phone call --
19 again, nobody is trying to be cute, Counsel. But I placed a
20 call to one of the partners in your firm, Steven Kohl, and I
21 informed him of the issue the day that we did it so that it
22 would be absolutely clear.

23 MS. LINDSEY: I understand. And we rest of the
24 legal argument that we made two months ago which is that
25 this is not relevant and not part of the decisional criteria

1 and wasn't required to be in -- considered under the EIA
2 part P -- excuse me -- Part 425.202(p) because it is not a
3 place of worship. And we did not respond to that argument.
4 And legally I don't think there is a response.

5 MS. HALLEY: Your Honor, that particular issue has
6 not been briefed. It clearly has not. And nothing could be
7 more relevant to whether the EIA is complete than these
8 witnesses' testimony about whether or not this is a place of
9 worship for them. They are going to be excluded from this
10 site. That is the issue here, your Honor. And furthermore
11 in anticipation of this building argument, over the weekend
12 I looked up the definition of "place of worship" in the
13 dictionary. It is not defined in the Rules. It's not
14 defined in the statute. If you look up "place" in the
15 dictionary, the first definition is simply "open space."
16 There is nothing about a room, a building or anything of the
17 sort.

18 MR. REICHEL: Your Honor, may I respond?

19 JUDGE PATTERSON: Go ahead. I'm sorry, Counsel.
20 You were finished?

21 MS. HALLEY: And to assert that a place of worship
22 has to be a building flies in the face of the very
23 definition of religion in this case. These witnesses could
24 and will testify, if they need to, that actually their
25 primary place of worship is outdoors.

1 MR. REICHEL: Your Honor, if I may respond
2 further?

3 JUDGE PATTERSON: Sure.

4 MR. REICHEL: My argument is not that a place
5 of -- that people cannot and do not worship outdoors.
6 That's not the point. I'm simply making the legal argument
7 which is, for this testimony to be relevant, it has to
8 relate to some decisional criteria under Part 632 or the
9 Rules. And the only claimed relevance is under this (p).
10 And I submit, if you read this Rule applying recognized
11 principles of statutory construction, which apply to Rules,
12 looking at the text as a whole, I submit that it is clear in
13 the context of the entire Rule that what the Rule is
14 addressing is, in fact, as a class are buildings used for
15 human occupancy all or part of the year.

16 MS. HALLEY: Your Honor, the Rule also includes
17 the term "places of business." Certainly Mr. Reichel
18 wouldn't assert that the only place to do business is in a
19 building.

20 MR. REICHEL: That's not my -- I'm sorry. That's
21 not my contention. I'm not saying that the only place to do
22 business is in a building or the only place to worship is in
23 a building. I'm saying you read the text of Rule that lists
24 things all of which in the context of the Rule are intended
25 to be buildings.

1 MS. LINDSEY: And if I just may respond for a
2 moment to the argument that this was not briefed. I can
3 hand you our brief, your Honor. We specifically as part B
4 addressed this issue and had pages of argument on this. And
5 so to say it's not briefed, I mean, this was -- we
6 specifically quoted that Rule for the places of worship and
7 very much did address this issue in our brief.

8 MS. HALLEY: Your Honor, may I also suggest that
9 this set of testimony is relevant to (x), land uses and land
10 access, current and historic land use trends. These are
11 all -- this is all relevant.

12 JUDGE PATTERSON: Okay. Here's what I'm going to
13 do. I'm going to let the testimony stand. What we've
14 gotten down to is a legal argument. Whether or not it's
15 applicable to the criteria 632, that can be addressed later.
16 But, I mean, Mr. Curtis is here. He's made the effort to
17 come here.

18 MS. HALLEY: Indeed.

19 JUDGE PATTERSON: Complete his testimony. There
20 is standing testimony regarding the religious use of Eagle
21 Rock. I'll let that -- I'll let the testimony stand. We
22 can argue later whether it's relevant to criteria 632.

23 MS. HALLEY: Thank you, your Honor.

24 MS. LINDSEY: Thank you, your Honor. Could you
25 just note a continuing objection so I don't have to --

1 JUDGE PATTERSON: Sure; yeah.

2 MR. REICHEL: And the same objection on behalf of
3 the Department.

4 JUDGE PATTERSON: All right.

5 Q Sorry for that interruption, Mr. Curtis. I believe that we
6 were talking about the tunnel. And I believe that my next
7 question was going to be whether the tunnel in some way
8 affects -- would affect your ability or desire to use Eagle
9 Rock as the sacred site that it has been used as?

10 A Yeah. As I explained when I tried to give you an example --
11 or the example of what that's like to me. It would be like
12 me and tell my family, "Come on. Let's go down to the
13 public cemetery here and let's dig some trenches through or
14 around or under," however you want to call it, which is
15 total disrespect and, you know -- and to me limiting my
16 access to that is -- it goes our Native American Religious
17 Freedom Act, too, of 1978. It specifically states in that
18 Act that we shall not be limited to access to sacred sites.
19 And that totally contradicts what that Act stands for -- the
20 intent of that whole Act.

21 Q And the intent of that Act, as you understand it, is to
22 provide you with what?

23 A Freedom; freedom of religion, freedom to express and
24 practice where we feel it's any sacred ground.

25 Q What does the phrase "place of worship" mean to you?

1 A On a personal note, I don't like to use the word "worship"
2 in our -- as a Native American. To me that's a Western
3 concept. And I practice my culture. I may pray. I sing.
4 I talk to the creator. In some other light, that might be
5 worshipping. But on a personal note again, I don't consider
6 that worship. To me it's -- that's just a part of being
7 Anishinaabe. I stay away from the -- most of the Western
8 concepts, because they tend to contradict with the Native --
9 what Anishinaabe believe in.

10 Q Given that the phrase "place of worship" is what we're
11 talking about here, I wonder if you consider Eagle Rock a
12 place of worship?

13 A Definitely.

14 Q Has anyone from Kennecott consulted with you about the
15 significance of Eagle Rock?

16 A No, they haven't.

17 Q Has anyone from the DEQ consulted with you about the
18 importance of Eagle Rock?

19 A Not directly. I was in on a couple of hearings with them
20 but nothing direct like a one-on-one basis or anything like
21 that.

22 MS. HALLEY: Thank you, Mr. Curtis. No further
23 questions at this time.

24 MR. EGGAN: May I ask just a follow-up question?
25 Mr. Curtis, I'm Eric Egan, and we've met.

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. EGGAN:

Q You mentioned that you were in on a couple of -- and I think you called them "hearings" with the Department of Environmental Quality and then the DNR?

A Right.

Q Were you talking about the government-to-government consultations that occurred between the Keweenaw Bay Indian Community and the Department of Environmental Quality and the Department of Natural Resources?

A Yes, I was.

Q Okay. Those were face-to-face meetings. Now, what did you understand the purpose of those meetings to be?

A To express to them what Eagle Rock meant to us as well from a cultural standpoint.

Q Okay. And so these were discussions directly with the community as a government communicating with the Department of Natural Resources as a part of Michigan government?

A Right. One sovereign to another sovereign.

Q Very good. And there were two meetings?

A Yes, there were.

Q One was with the representatives of the Department of Natural Resources and the other meeting was with the Department of Environmental Quality?

A Yes, there was.

1 Q Do you remember when those meetings were?

2 A Oh, within the last year. I think one was in the fall.

3 Q One was in November of 2007?

4 A I believe so.

5 MR. REICHEL: Objection. Leading.

6 A It was the fall.

7 MR. EGGAN: Well, this is purely --

8 MR. REICHEL: Lack of foundation.

9 MR. EGGAN: Are you -- I can give you the dates of
10 the meeting. I'm just trying to establish them with him.
11 Your clients were there.

12 MR. REICHEL: I'm aware of that. And I also
13 don't -- I'm going to interpose an objection as to
14 relevance. I believe it's a matter of record that -- well,
15 I don't understand how this consultation is relevant to the
16 decisional criteria under Part 632 or 31.

17 MR. EGGAN: I think that makes sense. My concern
18 was that the witness testified that he attended two
19 hearings. And I didn't want there to be confusion that
20 these were some sort of contested case proceedings. So I
21 was just merely trying to clear that up. But as long as Mr.
22 Reichel will stipulate that these were two meetings,
23 government-to-government consultations between the tribe and
24 the Department of Environmental Quality and the DNR, then I
25 think that's all we need to do.

1 MR. REICHEL: Well, I can certainly state for the
2 record it's my understanding that the meetings that Mr.
3 Egan is referring to were as a result of a memorandum of
4 agreement between the State of Michigan and the Native
5 American tribes or communities within the State of Michigan,
6 which provides a consultation -- a process by which there
7 can be consultation between tribes and the State of
8 Michigan. It was my understanding that that was the context
9 of these meetings that Mr. Egan has alluded to.

10 MR. EGGAN: That is the context. As long as we
11 have that stipulation, we're all set then. Very good.

12 JUDGE PATTERSON: Okay.

13 MS. LINDSEY: Good morning, Mr. Curtis. My name
14 is Sarah Lindsey. I just have a few questions for you.

15 CROSS-EXAMINATION

16 BY MS. LINDSEY:

17 Q You talked a little bit about -- I believe you said you hunt
18 in the Yellow Dog Plains area?

19 A Yes, I do.

20 Q What do you hunt?

21 A Deer.

22 Q Anything else?

23 A No. Just hunt and fish. My other members of my family do
24 the gathering, berry picking.

25 Q And how often do you deer hunt?

1 A Only supposed to -- allowed two, but sometimes we go out for
2 ceremonial purposes, community feasts. We'll be allowed to
3 get another tag through the tribe. I don't know. Four or
4 five times a year through there hunting -- specifically
5 hunting.

6 Q And you were talking about the hunting in the entire Yellow
7 Dog Plains; correct?

8 A From -- to include that and from what they call Big Eric's
9 Bridge in Skanee, Michigan. It's the beginning of Triple A
10 where you can enter it from the Baraga County side.

11 Q You often hunt in the area of the mine site -- proposed mine
12 site?

13 A We go from -- like I said, from Big Eric's all the way, come
14 out to Big Bay. Sometimes we'll turn around or just come
15 back on the highway.

16 Q And you said you also fish?

17 A Yeah.

18 Q How often do you fish?

19 A Every spring when the ice goes out and lets us get into the
20 rivers.

21 Q And again this is fishing in that entire area that you
22 described?

23 A West Branch, Little Huron. I've never fished the Salmon
24 Trout River, but I have friends that have.

25 Q Okay. And you have not fished the Salmon Trout River?

1 A No.

2 Q And you said that you personally don't do any gathering?

3 A Right. My family does.

4 Q All right. And I believe I hear you refer when you were
5 giving an example of Eagle Rock and sort of analogized it to
6 something like burial grounds. You're not saying that these
7 are, in fact, burial grounds; correct?

8 A They could be.

9 Q But not to your knowledge?

10 A Not to my knowledge that they're not.

11 Q All right.

12 Q And you also said that you would continue to use Eagle Rock
13 if you had access to it during the mining period -- if you
14 had access, I think you said, that you were continue to use
15 it?

16 A I may. It probably would be the same like I alluded to.

17 MS. LINDSEY: I have nothing further. Thank you.

18 MR. REICHEL: I have no questions.

19 MS. HALLEY: No further questions.

20 THE WITNESS: May I add one thing, your Honor?
21 Could I say something?

22 JUDGE PATTERSON: Sure. Go ahead.

23 THE WITNESS: In regards to the sacred grounds
24 like -- you keep referring to a list of -- I don't know what
25 is that? Preservation list or -- what is that? May I ask

1 what that is?

2 MS. LINDSEY: On our motion?

3 THE WITNESS: List of sites or scared sites, is
4 that? I didn't understand.

5 MS. LINDSEY: Yeah. We had talked about -- we had
6 raised a motion to address, I believe, the issue -- the list
7 is the things that are listed on --

8 MS. HALLEY: I believe he's asking about the
9 list --

10 THE WITNESS: Yeah. I was just --

11 MS. HALLEY: -- listed spaces under the National
12 Historic Preservation Act.

13 THE WITNESS: Okay. Just a little insight. A lot
14 of the sacred grounds, sacred places that pertain to the
15 Natives, the Anishinaabe -- a lot of places aren't listed.
16 What don't believe in listing them for specific reason --
17 purposes. And part of that is due to this exploitation, if
18 you will, whatever. And that's -- I just wanted to bring
19 that to your attention. There's a lot of places that aren't
20 listed that are sacred.

21 JUDGE PATTERSON: Okay. Thank you.

22 THE WITNESS: Okay.

23 MS. HALLEY: Petitioners call Doreen Blaker.

24 REPORTER: Do you solemnly swear or affirm the
25 testimony you're about to give will be the truth?

1 MS. BLAKER: I do.

2 DOREEN BLAKER

3 having been called by the Petitioners and sworn:

4 DIRECT EXAMINATION

5 BY MS. HALLEY:

6 Q Could you state your name for the record spelling your last
7 name?

8 A Doreen Blaker, B-l-a-k-e-r.

9 Q What is your educational background?

10 A I have a bachelor's degree in social science.

11 JUDGE PATTERSON: I'm sorry. What?

12 THE WITNESS: A bachelor's degree in social
13 science.

14 JUDGE PATTERSON: Social science.

15 THE WITNESS: Uh-huh (affirmative).

16 Q What is your occupation, Ms. Blaker?

17 A I work at our tribal court system as an advocate. I sit
18 with tribal people during criminal proceedings, juvenile
19 proceedings, limited civil proceedings. I'm just an
20 advocate, nothing else. No degree in law.

21 Q Where do you live?

22 A I live in Baraga, Michigan, on the reservation.

23 Q Are you a member of the Keweenaw Bay Indian Community?

24 A I am.

25 Q And how long have you been a member?

1 A My life.

2 Q Do you hold a particular office at KBIC?

3 A I sit on the tribal council. I'm currently in my second
4 term.

5 Q What does the tribal council do for the tribe?

6 A We wear many hats. We do a lot of things. We do
7 legislative. We do programs. We take care of our tribal
8 members.

9 Q Do you take care of them in the way of tribal traditions?

10 A Yes, we do. We have re- -- we have our culture committee.
11 We have a language program. We are bringing back a lot of
12 things that had been taken from us over the years. I don't
13 want to go into that. That has nothing to do with what
14 we're doing here time now. So I'll just state it like that.

15 Q Is KBIC part of the Anishinaabe Nation?

16 A They are. It's -- actually the Anishinaabe Nation runs from
17 North Dakota into Canada, encompasses the states also of
18 Wisconsin, Minnesota, way to the eastern into Ontario,
19 Canada. We are one of many bands of Anishinaabe.

20 Q What does it mean to you to be an Anishinaabe person?

21 A As an Anishinaabe ikwe, a woman of --

22 Q What does ikwe mean?

23 A -- the people or tribe, a woman, we are keepers of the
24 water. It is our responsibility specifically to take care
25 of our water. One of the most important things I feel is

1 we've been put here to make this place as soon as good as,
2 if not better, for future generations so that they, too, may
3 enjoy what we enjoy right now.

4 Q Do you practice Anishinaabe tradition -- traditional ways?

5 A Yes, I do. Are you specifically talking ceremonies? I
6 practice ceremonies. When you say Anishinaabe, practice
7 Anishinaabe beliefs, well, that's just something we do every
8 day as a community, you know. We live it, you know. And
9 specifically, yes, we do practice ceremonies. I do practice
10 ceremonies.

11 Q Could you describe some of those ceremonies for us and help
12 us understand the purpose of them?

13 A As I stated earlier, one of -- as a woman of -- a woman we
14 have water ceremonies which we consider very, very sacred.
15 I've participated in sweat lodges, fasting, visions, pipe
16 ceremonies, sacred fire. It's quite a lengthy process to go
17 into each ceremony and why we do them, so I'll just leave it
18 at that.

19 Q Would you mind talking a little bit more about fasting?

20 A When we practice our traditional -- we're in a unique
21 position. We live what we call "with both feet in two
22 worlds." We live the modern world but we also have the way
23 of our ancestors. And there comes a time sometimes in this
24 busy, busy world that you have to stop and you have to, you
25 know, acknowledge the gifts that the Creator gave you, you

1 know, what we have: the clothing, the food, you know,
2 what -- our medicines, you know, what's been given to us.
3 And there's certain areas with certain manitos or spirits
4 that reside in those areas and we stop and we acknowledge
5 and send megwich to them and to the Creator for what they've
6 given us.

7 Q What does "megwich" mean?

8 A I'm sorry. Thank you; give thanks. And that's -- you know,
9 there's many different fasts, but in particular when you
10 said "fast" I was thinking of a one-day fast and that's when
11 you just stop everything and just remember where everything
12 came from. And we can't live without water. We can't live
13 without, you know, clean air. We can't live without food.
14 You know, it's -- sometimes you just have to stop and
15 remember that; that we depend on this environment. You
16 know, we are -- we're the pitiful ones; we're the ones who
17 depend on this and we have to remember that and give thanks
18 for what we have.

19 Q Do you gather; are you a gatherer in your tribe?

20 A Yes, I am. I don't hunt and fish. I have three sons that
21 do that for me; there's no need for me to go and do that.
22 They're good hunters and they're good fishermen and I'm very
23 proud to say that. They bring in deer, fish and stuff like
24 that. So no, I don't hunt and fish, but I do gather. I
25 gather plants. I'm just starting gathering medicines; it's

1 a very -- it's a lifelong process of learning and I'm
2 learning right now to -- basically I'm out there -- they're
3 being identified; we're showing how to collect them, when to
4 collect them. You only take as much as you need. Well, in
5 the case of like berries, well, we get those every year. We
6 all like berries, so yes, I do do that; different kinds,
7 different areas.

8 Q Are you familiar with a place called Eagle Rock?

9 A Yes, I am.

10 MS. HALLEY: Would you put up that map, please?

11 Q Could you show us on this map where Eagle Rock is, in your
12 understanding of it?

13 A It's right there (indicating).

14 Q Okay. What is your understanding of the orange line through
15 it?

16 A I stated earlier it's a tunnel going over to that area.

17 MS. HALLEY: Could you put the other picture up,
18 please?

19 Q Can you identify what this is a picture of?

20 A That's Eagle Rock.

21 Q Okay. Is Eagle Rock important to the Anishinaabe people?

22 A Yes, it is. Do you want me to go further, or just --

23 Q Please.

24 A There's certain areas where there's spiritual significance
25 and areas where we and our ancestors, our people in the past

1 have fasted and went on vision quests. There's, like I
2 said, many different times of year and number of days that
3 you will go on things like that and they would look for
4 places of significance and people would usually be brought
5 there for those purposes of fasting or looking for a vision.
6 And the area's well known to, you know, our people. I mean,
7 you know who was Yellow Dog; he was an Ojibwa. You know, I
8 told you the story just to shorten it up. You know, he was
9 taking his son out for, you know, a vision and he had been
10 ambushed and, you know, that's Yellow Dog, you know. I
11 mean, the area is quite well known to our area -- or to our
12 people; well known to other natives who had been there a
13 long time ago also.

14 Q Roughly when would that event with Yellow Dog and his son
15 have -- would have taken place?

16 A Well, he shot and killed two Sauk Indians, so they had
17 rifles at the time, so that would have been at least a
18 couple hundred years ago. I can't give you an exact date of
19 when this event happened; I just know what I've been told.

20 Q So your understanding though is that your people have been
21 using Eagle Rock and the vicinity of the Yellow Dog Plains
22 for at least, as you said, a couple hundred years?

23 A Oh, more than that, but the story of Yellow Dog in
24 particular probably goes anywhere from 2- to 300 years back.
25 I don't have an exact date.

1 Q Okay. Do you go to the Yellow Dog Plains?

2 A Yes, I do.

3 Q And what do you do at the Plains?

4 A Depends; depends on what time of year it is. Sometimes you
5 gather berries. Like I said, I gather medicines; it's very
6 limited. What I do there that -- you know, I want people to
7 understand I'm just -- on the path of that, that's a
8 lifelong thing to do. And sometimes we just take rides
9 through there. It's quiet and peaceful and you want to get
10 away from the -- I don't want to call it "the rat race," but
11 the business of everyday life. You know, sometimes you've
12 just got to go somewhere where it's quiet.

13 Q And when you go there is it quiet or is it loud? What's it
14 like when you're there? Can you just describe it to us?

15 A It's just quiet; it's peaceful. I don't know how else to
16 say it. It's a quiet place to go.

17 Q Do you hear, you know, horns honking?

18 A No. No.

19 Q Do you see many people usually?

20 A No, you don't see lots of people going through. I mean,
21 you're lucky if you run into one or two. You know, and like
22 I said, we've fasted up there and you might see me --

23 Q Just a minute. You what?

24 A On Eagle Rock we've fasted and, you know, it's peaceful. I
25 mean you're lucky to see maybe four or five vehicles.

1 Q Over the course of how long?

2 A Well, we get -- we start out with a sunrise ceremony and the
3 fire is made and we pray and we go out -- I don't know.
4 We're out there from like 6:00 to maybe 6:00, a good 12
5 hours.

6 Q And you -- how many cars did you see in 12 hours?

7 A I don't know, maybe four or five.

8 Q And that's --

9 A And that also includes four-wheelers; I said vehicles.

10 Q Ah, four-wheelers and cars. Thank you. Okay. And that's
11 from Eagle Rock and --

12 A Yeah, we're up on the top there; we're all in different
13 areas and --

14 Q And you're looking down at -- which roadway from up there
15 are you seeing these vehicles?

16 A On the AAA; is that what you call it?

17 Q And is the AAA the primary transportation route on the
18 Yellow Dog Plains?

19 A Yeah.

20 Q I believe it's really the only one, isn't it?

21 A Yes. I'm sorry. Yeah.

22 Q You testified that you have been to Eagle Rock?

23 A Yes, I have.

24 Q Okay. How often do you go to Eagle Rock?

25 A Three, four times a year. It's when I'm directed by our

1 elders. When we're told to go, you know, and do ceremonies,
2 or our spiritual leaders, you know, we do that. And there's
3 reasons for it.

4 Q Okay. Do you normally go there with other people or by
5 yourself?

6 A I usually go with other people. I have a terrible sense of
7 direction, so -- been lost a couple times out there.

8 Q And when you're there what do you do there? When you go to
9 Eagle Rock what is it that you do there?

10 A As I had stated earlier, we've got various ceremonies that
11 we may perform. We've done different ceremonies; like I
12 said, a sunrise ceremony which includes a pipe ceremony, the
13 lighting of a sacred fire and the acknowledgment of that.
14 The fasting, the praying.

15 Q What do mean by "a sacred fire"?

16 A It's -- how do I want to say this? It's where we put our
17 asema, our tobacco; we're offering our prayers before we go
18 up there. And while we're up there we're also offering our
19 prayers with tobacco ties. Tobacco ties are put into
20 different colored pieces of cotton; they represent different
21 directions or it might be your own personal colors. Those
22 are offered while we're up there. It's just a lot of
23 praying. When we're done we come down, we have a feast. We
24 feed the fire, which is before we even eat any of the food
25 that's been prepared. We acknowledge and thank those who

1 have given of themselves so that we may have that feast and
2 that's offered into the fire. We then feast. We clean up
3 our area; it's important to clean your area after you leave.
4 And then we're done. And that's a daytime fast.

5 Q Okay. So you go there and spend the whole day from sunrise
6 to sundown praying and carrying out these ceremonies?

7 A Yes.

8 Q For several times a year, you said, you may do that?

9 A Well, not several. I've gone -- you know, maybe others go a
10 little more than me. I can't -- you know, I've seen -- you
11 can tell when other people have been there and they do --
12 there's many ceremonies that are done. I forgot about moon
13 ceremonies. I mean, it's just -- we could sit here all day.
14 But in particular I would say I go three, four times.

15 Q Okay. Is there anything unique about Eagle Rock as far as
16 you know?

17 A Yes, it is. Like I had said earlier, when our people and
18 when we're put out there is areas that we're put into.
19 There's "markings" -- I guess we want to say that -- specify
20 an area, why it's sacred to our people and at the top is
21 what we call or what I've been told is nanaboozho's
22 footprint, which it's the indent in the rock. Nanaboozho
23 was -- he gave many gifts to the Ojibwa people. He brought
24 many things to help us survive and showed us the medicines,
25 the foods. It's very hard to talk about him right now

1 because those kind of stories are told in the wintertime.
2 When the Earth is sleeping we bring out the stories of
3 nanaboozho. But on there is his footprint and it's consider
4 a sacred area. It is a sacred area. There are certain
5 spirits that watch over that area and they're up there. And
6 I really don't feel comfortable talking about them. That's
7 not my area to talk about.

8 Q Could you just go to a different place and carry out these
9 ceremonies and have the same experience?

10 A The reason that we would go into that particular area is to
11 acknowledge the gifts that come from there. There's
12 medicines actually right in Eagle Rock that are collected.
13 When you go into an area such as that not only is there the
14 spiritual significance of nanaboozho coming through there,
15 but there's also medicines that are gathered in that area.
16 No. When I go there it's to acknowledge the gifts that are
17 there and thank the Creator for what's coming out of that
18 area. If I go down onto the reservation and I go to the --
19 into the bay area, to the lake, I'm offering up and thanking
20 for the gifts that are coming out of that area.

21 Q So places to pray are not interchangeable necessarily?

22 A No.

23 Q Okay.

24 MS. HALLEY: Would you put up the picture, the map
25 again?

1 Q Ms. Blaker, do you see the sort of gray outline around the
2 facilities there?

3 A Yes.

4 Q And Mr. Curtis testified that that's a fence; that's your
5 understanding of this picture?

6 A Is that there's going to be a fence, yes.

7 Q Right. I believe the permit specifically states eight-foot
8 high chainlink fence surrounding the facilities as described
9 in this figure?

10 A Yes; I heard him read that.

11 Q So by looking at this figure does it look to you as if Eagle
12 Rock is inside the fence?

13 A Yes, it is.

14 Q So would you have access to Eagle Rock then?

15 A If I scaled the fence I could probably get in there. I
16 don't know if our elders could scale the fence though. But
17 usually a fence means to stay out and you have to respect
18 that.

19 Q Indeed. How do you feel about being fenced out of your
20 sacred site?

21 A Irritated. I think anybody would feel irritated and more
22 than angry if all of a sudden you went somewhere and it's
23 been fenced off and you're not allowed in anymore, whether
24 it -- I would just feel angry and irritated.

25 Q Let's assume for just a moment that you could actually get

1 to Eagle Rock during the life of this proposed mine. Would
2 you still want to go there and pray even if the surface
3 facilities you see are in that green blob sort of behind --
4 well, in this picture to the north of Eagle Rock? Would you
5 still want to use Eagle Rock in the same way that you and
6 your people have been using it?

7 A That's a hard question to answer. Well, there's, you know,
8 spirits in that area. I don't know quite how easy it would
9 be to perform our ceremonies if there's a whole bunch of
10 business going on in there. I understand there'll be quite
11 a lot of traffic. Cripe, I wouldn't want to get ran over or
12 something when I was there. I think it would be --

13 Q Well, what's your understanding of how the area would be
14 different than it is now if the mine were going on there?

15 A There's going to be a lot of -- there's buildings and
16 there's going to be a lot of -- there's going to be a
17 tunnel, for one thing. It looks like, you know, it's coming
18 out of Eagle Rock, so if we're standing on top of it and
19 they're rumbling out from underneath it, you know, it's -- I
20 don't really know anybody when they're worshiping if you had
21 a big truck coming out from underneath the steps of your,
22 you know, your church or your synagogue or something how you
23 would feel about that. You know, it's kind of --

24 Q What does the phrase "place of worship" mean to you?

25 A It's an area where you go to talk to the Creator. There's

1 many places around the world. You know, a place of worship
2 could be a church or a mosque, a synagogue, a holy city, a
3 sacred spring. You know, they're all over the world.
4 There's, you know, Eagle Rock, you know. There's many
5 places many people have, you know, what they call places of
6 worship. It's not necessarily a building. I don't ever
7 recall that you have to be in a building to pray to the
8 Creator in anybody's religion.

9 Q Do you consider Eagle Rock a place of worship?

10 A The "place of worship" does -- gets us when that terminology
11 is used, but yes, I'll say we consider it a place to talk to
12 the Creator, yes. There's spirits we acknowledge, there's
13 medicines in that area on that rock, yes.

14 Q Has anybody from Kennecott ever consulted with you about the
15 importance of Eagle Rock?

16 A No.

17 Q How about anybody from the DEQ?

18 A Me? No. I attended public hearings.

19 Q What was the testimony related to Eagle Rock at those public
20 hearings?

21 A There was -- from tribal members? I mean, there was like --

22 Q Yes, from tribal members.

23 A -- lots of people at these hearings.

24 MS. LINDSEY: Objection to hearsay and probably
25 the relevance at this point to what the testimony at public

1 hearings were.

2 MS. HALLEY: I'll withdraw the question.

3 JUDGE PATTERSON: All right.

4 MS. HALLEY: Thank you. No further questions at
5 this time.

6 MS. LINDSEY: Good morning, Ms. Blaker.

7 THE WITNESS: Good morning.

8 CROSS-EXAMINATION

9 BY MS. LINDSEY:

10 Q Do you remember the first time that you went to Eagle Rock
11 for any sort of fasting or other ceremony?

12 A Maybe about four years ago.

13 Q Do you remember the first time you heard of Eagle Rock
14 referred to as either that or is it also referred to as Migi
15 zii wa sin?

16 A It's been called that.

17 Q Do you remember the first time you heard it referred to as
18 either of those things?

19 A Specifically as that?

20 Q Yes.

21 A The name or the place? Because the place we've known --
22 I've known for a long time. Our people are quite familiar
23 with it, but the specific name "Eagle Rock"? A while ago.

24 Q Within probably the time when you have been there a few
25 years ago?

1 A Eagle Rock?

2 Q Yes.

3 A Yeah. I've also known it as -- it's very hard for me say
4 this. We've just begun doing our names in Ojibwa. Got a
5 beautiful saying on traditional names and stuff and I don't
6 know if I can this correctly, but mazhaamegosikaa zibii.
7 I've also known it as that. That's the proper name for it.
8 But names change; I mean, we've got names for all sorts of
9 things. "Eagle Rock" I guess is probably four years ago;
10 known it by other names for a long time.

11 Q And you told a story about -- I think it was how the Yellow
12 Dog Plains got its name?

13 A I don't know if it specifically got its name. The reason I
14 brought up Yellow Dog was because I'm trying to show you,
15 you know, you people that we've been in and out of that area
16 for a long time. The specifics -- you know, it could have
17 been called "Yellow Dog" by us. No, I messed that up. I
18 don't want to say we specifically called it Yellow Dog. The
19 story is of Yellow Dog and he had been killed there. That's
20 what I was trying to say. I don't want to go into the story
21 but, you know, my point is he was putting his son out for a
22 vision quest when he had been -- they had been attacked by a
23 party of Sauk Indians.

24 Q That was the story about --

25 A It just kind of stuck as the Yellow Dog Plains. The place

1 where Yellow Dog was killed, you know. I could go into that
2 story if you'd like.

3 Q No.

4 A Okay. You don't want to hear about it.

5 Q Thank you. You talked about the tunnel and your
6 understanding of it going through Eagle Rock?

7 A Uh-huh (affirmative).

8 Q You do understand -- correct? -- that that tunnel is going
9 underneath Eagle Rock?

10 A Right.

11 MS. LINDSEY: Okay. Thank you. I've nothing
12 further.

13 THE WITNESS: Okay.

14 MR. REICHEL: I have no questions.

15 REDIRECT EXAMINATION

16 BY MS. HALLEY:

17 Q Does it make a difference to you at what level the tunnel
18 goes through Eagle Rock, if it's at the very top, in the
19 middle, in the very bottom, underneath the ground surface;
20 does that make any difference to your relationship to Eagle
21 Rock?

22 A Yes, it does.

23 Q How so?

24 A Well, the Earth is sacred from the top -- from up all the
25 way down. The gifts are also inside the Earth also that we

1 get. Yes, it does make a difference; just leave it at that.

2 MR. EGGAN: I don't have anything.

3 MS. HALLEY: Thank you, Ms. Blaker. No further
4 questions.

5 THE WITNESS: Thank you, your Honor.

6 (Witness excused)

7 MS. HALLEY: Can we take a short break?

8 (Off the record)

9 MS. HALLEY: Petitioners call Harland Downwind.

10 REPORTER: Would you raise your right hand? Do
11 you solemnly swear or affirm the testimony you're about to
12 give will be the whole truth?

13 MR. DOWNWIND: I do.

14 HARLAND DOWNWIND

15 having been called by the Petitioners and sworn:

16 DIRECT EXAMINATION

17 BY MS. HALLEY:

18 Q Could you state your name and spell your last name for the
19 record?

20 A Harland Downwind, D-o-w-n-w-i-n-d.

21 Q Where do you live?

22 A I currently reside in Brainerd, Minnesota.

23 Q What is your occupation?

24 A Well, my occupation right now is I work for the Sault Ste.
25 Marie Tribe of Chippewa Indians as a traditional

1 practitioner.

2 Q What does that mean?

3 A Well, put it simply the tribal medicine man, which they are
4 typically. So in a framework of understanding here it would
5 be that I work with the traditional plants of medicines and
6 ceremonies for Anishinaabe people.

7 Q Okay. Are you certified as a clinical provider for the
8 traditional medicine?

9 A Yes, I am, through the Michigan Intertribal Council of
10 tribes here in Michigan; also by the Ontario Council of
11 Chiefs and the Minnesota Midewin Society.

12 Q How many certified clinical providers are there in Michigan?

13 A I believe I'm the only one at this point.

14 Q Okay. Are you a member of the Anishinaabe Nation?

15 A Yes, I am.

16 Q Okay. And you just said that you live in Brainerd,
17 Wisconsin?

18 A Minnesota.

19 Q I apologize -- Minnesota. Are you a member of a tribe in
20 Minnesota?

21 A I am of the Anishinaabe Nation also, Minnesota branch, I
22 guess. They anishinaabe Nation is spread from here to North
23 Dakota, eastward to Toronto, north to Hudson Bay and over
24 into parts of Manitoba. So the Anishinaabe Nation is
25 quite -- covers a vast area.

1 Q Okay. And you're about to testify about the Yellow Dog
2 Plains and Eagle Rock. If you're from Minnesota what takes
3 you to the Yellow dog Plains and Eagle Rock?

4 A Well, one of the purposes that I have as defined by my
5 elders as a spiritual leader is that I'm to bring back a lot
6 of the traditions to our tribal people all over the
7 Anishinaabe Nation. So I travel; I travel quite extensively
8 throughout the month to different Anishinaabe Nations
9 throughout the country. So my experience with Yellow Dog
10 is -- and Eagle Rock specifically, is the spiritual adviser
11 to the ceremonies that are conducted there.

12 Q Do you have a particular role in the Anishinaabe culture?

13 A As it stands it's identified for me by my elders and by the
14 things that I do for our tribal people is what we call the
15 nah-nan-wii-way wi-ni-nii. Again, that would be tribal
16 healer or medicine man to put it in laymen's terms and
17 equating as that.

18 Q Are you a member of the Midewiwin Society?

19 A Yes, I am. I'm mide priest.

20 Q What does that mean?

21 A That means that I've been initiated into our religious
22 society. To equate, it's like the priesthood; different of
23 course, but I guess that'll be the same thing, the Midewiwin
24 Society.

25 Q And what is the purpose of the Midewiwin Society?

1 A The Midewiwin Society is -- I guess it's like an institute,
2 a school if you want -- might say it, to where our elders
3 teach religious duties to initiates.

4 Q And you're a member of this school?

5 A Yes, I am.

6 Q And is there a gradation of membership in the school; I
7 mean, are you brand new or --

8 A There is levels. There's levels of initiates up to eighth
9 degree. And I'm not brand new but I'm -- it could take a
10 person well over ten years to finish first degree in
11 ceremonial religious duties involved in that first degree.

12 Q So this is a serious and lifelong road for you?

13 A Yes, it is. It's a lifelong obligation, yes.

14 Q And how large of a geographical area does the Midewiwin
15 Society serve?

16 A Well, I've worked in Anishinaabe health in Toronto, Ontario
17 to the east. I've also been called on by the Mohawk people
18 in New York to provide service out there. Down to Tama,
19 Iowa which is by Ames Iowa down south to Sweet Grass,
20 Saskatchewan in the west, Winnipeg, Manitoba; throughout
21 Northern Ontario, which is Quinora, White Dog and those
22 areas there also. So it's a huge area.

23 Q Could you describe in more specific ways what you do as a
24 Midewiwin priest when you're traveling to other places?

25 A Well, like I said, primarily my duties include traditional

1 practices that are handed down from our elders, which is the
2 ceremonial aspect, the prayer aspect, and also the medicines
3 and the healing part of it.

4 Q Okay. Are you familiar with a place called Eagle Rock?

5 A yes, I am.

6 MS. HALLEY: Could you put the figure 4-2 up,
7 please?

8 Q Could you show us where Eagle Rock is on this?

9 A Right there (indicating).

10 Q Okay. And what is your understanding of the orange line
11 through --

12 A I believe that's the proposed mining tunnel.

13 MS. HALLEY: Could you put up the slide 11 of
14 Exhibit 11?

15 Q Are you familiar with this place?

16 A Yes; that's Eagle Rock.

17 Q Okay. What is it like at Eagle Rock when you've been there?

18 A One of the things in the concepts or the beliefs of the
19 Anishinaabe people, all Mother Earth is sacred. All of
20 Mother Earth; not just Eagle Rock but all of the Earth,
21 water, the rocks and everything on Mother Earth. But in
22 particular we're given sites or places by God -- or "The
23 Great Spirit" as we refer to it -- that are marked for us
24 that we are to find and we're to use. And we look for these
25 particular markings on rocks, on lake shores, mountains, you

1 know, there being one place of the four corners of the
2 Earth. Also Dreamer's Rock in Canada, Manitoulin Island
3 area. Those are very, very sacred. I guess those being
4 like the Vatican to us; you know, a real, real powerful
5 place of worship. And that -- Eagle Rock has a significant
6 marking on it that I've only seen in two places in my
7 travels and one is in -- among my Cree relatives in
8 Saskatchewan. They have a mountain -- a sacred mountain
9 also like -- that has the same markings as Eagle Rock. And
10 this is the other place that I've seen that.

11 Q So in all of your traveling around the Midwest and Canada
12 you've only seen one other place other than Eagle Rock that
13 has this particular significant marking?

14 A

That's correct.

15 Q

Okay. What does that marking mean to you?

16 A

That marking to me and what -- when I was introduced to
17 Eagle Rock told me of tribal teachings and legends of --
18 you've heard mentioned by Mr. Curtis Winaboozho and by Ms.
19 Blaker. Winaboozho we believe in our traditions and our
20 religious society is the son of God, similar to Jesus. And
21 that there's certain places in our creation story that he
22 has marked for us to use for prayer and for ceremony.

23 Q

And is it your understanding that Eagle Rock is one of those
24 places?

25 A

Yes, it is.

1 Q Could you describe the history of Eagle Rock, maybe not
2 quite as far as back to Winaboozho, but your ancestors?

3 A In my travels, like I say, I go to many different places
4 around the country and provide ceremonies to our Anishinaabe
5 people. They have their sacred sites on their reservations.
6 Like in Red Lake I can tell you about the place of the
7 little people that we use for sacred offerings and
8 nothing -- it's like little churches all over, I guess you
9 might say, if you want to equate to something. In my
10 reservation I could tell you exactly where our sacred places
11 are. And as I said earlier, part of my non da go zeein or
12 purpose in life is to provide ceremonies and medicines and
13 healing ceremonies to our people as Midewiwin Society
14 prescribes for me to do and also to bring back a lot of our
15 sacred teachings that the elders carry.

16 Q I see. You've been to Eagle Rock yourself?

17 A Yes, I have.

18 Q And why did you go to Eagle Rock? What prompted you to go
19 there?

20 A Well, we needed to do -- conduct some sacred ceremonies,
21 some sacred fasting, spiritual offerings for the health and
22 benefit and welfare of the people of the Keweenaw Bay Indian
23 Tribe. So we -- I needed -- I asked the people there of a
24 sacred place that we could use and that's how I was
25 introduced to Eagle Rock.

1 Q And about when was that?

2 A That was in 2002.

3 Q So about six years ago?

4 A Yes.

5 Q And in that discussion of deciding where to go and -- well,

6 where to go, was the mine a part of that discussion at all?

7 A I don't believe so; no.

8 Q Okay. So you weren't going there because of the proposed

9 mine?

10 A No, we were going there to pray.

11 Q Pardon me?

12 A We were going there to pray.

13 Q Going there to pray? Okay. Is it your understanding that

14 Anishinaabe people have been using Eagle Rock for a long

15 period of time?

16 MS. LINDSEY: Objection; foundation.

17 MS. HALLEY: I'll lay a foundation.

18 JUDGE PATTERSON: Okay.

19 Q You have heard and learned from your elders about the

20 history of Eagle Rock, have you not?

21 A From the Keweenaw Bay elders, yes.

22 Q Okay. And they for some reason indicated that Eagle Rock

23 was a special place?

24 A Yes, they did.

25 Q Okay. What would lead them to that conclusion do you think,

1 based on your experience of Anishinaabe culture?

2 A From what I understand they prayed there before in the past.

3 Q Roughly how long into the past; do you have any idea?

4 A Well, some of the elders that I talked to were 80 years old
5 there in the tribe, so, you know, who knows?

6 Q Does the significance -- this marking on Eagle Rock, does
7 that lead you to any conclusion at all about how long your
8 people have probably been using Eagle Rock as a sacred site?

9 A Well, according to the teachings, if -- and the Midewiwin,
10 that anyone with understanding of Winaboozho -- like I said
11 -- like I said, it's not our tradition to talk about that
12 person -- they would have you utilize that --

13 Q Just for the record --

14 A -- as a place of worship.

15 Q Just for the record, Mr. Downwind, you were using the name
16 "Winaboozho" and she used the term "Nanaboozho." Are those
17 the same?

18 A Dialect; dialect.

19 Q Thank you. But you're referring to the same entity?

20 A Person, yes.

21 Q Okay. Thank you.

22 A It's western dialect; eastern dialect. Nanaboozho;
23 Winaboozho.

24 Q Okay. Thank you for that clarification. What are the
25 historic uses of Eagle Rock?

1 A Well, in my understanding it's a place for vision and
2 fasting and that's what we do there. Vision quests being
3 seeking a greater communion with The Great Spirit. Fasting
4 is short-term one to four days of prayer and offering.

5 Q Does that mean staying at that one particular place for one
6 to four days?

7 A yes.

8 Q Okay. One to four days 24 hours a day or what?

9 A Yes. It's 24 hours a day, whether it's one -- it's sunup to
10 sundown, or sunup to sunup or four sunups, four sunrises.
11 That's how we do it in terms of use.

12 Q Okay. Thank you. So since you started going to Eagle Rock
13 how often do you go there?

14 A Well, specifically I would say twice a year up to two to
15 four days, because -- and let me further elaborate on that.
16 It's because that we have certain times that we fast and
17 that's the spring and the fall when -- and then as a sacred
18 site we use it all the time for like Mr. Curtis stated of
19 making our tobacco offerings; which basically is just
20 stopping to pray, to pray in those terms.

21 Q So this may sound like a silly question at this point, but
22 is Eagle Rock important to you on a personal level?

23 A Yes, it is.

24 Q Why is that?

25 A Because of the -- like I said, the markings and the power,

1 the spiritual power of the region and the area.

2 Q Okay. And you've talked about fasting at Eagle Rock. What
3 else do you do at Eagle Rock?

4 A Well, we've done a number of ceremonies over there. And I
5 guess -- well, we've done tobacco ceremonies and we do
6 ceremonies where we feed our ancestors, feed our -- the
7 spirits of the region. We pay tribute and homage to the
8 land right there. We believe that every space is occupied
9 by a spirit; every part of the Earth is occupied by a
10 spirit. So when we go there we pray with those spirits
11 and -- but our greater communication is with The Great
12 Spirit, our God.

13 Q So you just said that you believe that every part of the
14 Earth is occupied by spirits?

15 A Yes, it is.

16 Q Okay. So is Eagle Rock any different than any other part of
17 the Earth to you?

18 A Like I said earlier that there's certain places on the Earth
19 that are marked, I guess, and like I said, like there be
20 one -- being one, Eagle Rock being one, the mountain in
21 Saskatchewan that I've been to and Dreamer's Rock in Canada.
22 They're marked in a certain way by The Great Spirit and
23 certain things that are there for us to recognize as
24 Anishinaabe people. That's why we say it's a recognizable
25 prayer site.

1 Q Do you collect plants?

2 A Yes, I do.

3 Q What do you do with those plants after you collect them?

4 A Well, that's a whole process in itself. Certain plants can
5 only be picked at certain time of year. We pick plants
6 there also.

7 Q "There" being at Eagle -- on Eagle Rock or in the vicinity
8 of it?

9 A Around the area in the vicinity, yes. Certain things that
10 we use for healing, herbal medicines; can equate it to that,
11 I guess. And we pick those and we process them, dry them,
12 use them for ceremonial healing.

13 Q Just to be clear, do you gather medicinal plants on Eagle
14 Rock?

15 A Yes, I have.

16 Q Okay. And is there -- are there unique plants there that
17 you have trouble finding at other locations?

18 A Well, there's some plants that we use for kidney and
19 diabetics, which is -- we use a lot of those within our
20 tribal nation right now, so yeah. Yes, there's just -- just
21 there at Eagle Rock.

22 Q Oh, okay.

23 A There's also certain cancer plants there.

24 Q Certain --

25 A Plants we use for cancer.

1 Q Plants you use for cancer?

2 A Yes.

3 Q That are unique to Eagle Rock?

4 A Yes. They're within the jack pine tree.

5 Q Okay.

6 MS. HALLEY: Could you put the site map up again?

7 Q Okay. We've gone over this a couple of times at this point,

8 but do you see the gray line around the surface facilities

9 there?

10 A Yes, I do.

11 Q And what does that gray line indicate?

12 A I understand it's a proposed fence.

13 Q Is the rock inside or outside of the fence?

14 A It's inside the fence.

15 Q Inside the fence. How do you feel about that, Mr. downwind?

16 A Well, fences are made to keep people out. I believe that's

17 what the fence is going to be used for.

18 Q How do you feel about being kept out and off of Eagle Rock?

19 A Well, I guess it's a tragedy. You know, it's another loss

20 for our people, you know. That's the way I look at it.

21 Q Could you go to some other sacred site and have the same

22 spiritual experience that you have at Eagle Rock?

23 A You know, we conduct many, many ceremonies a year, but each

24 one is individual and within itself unique, so there would

25 be no other place like Eagle Rock. When we do a ceremony

1 there it's the ceremony for that area.

2 Q I see. Okay. Let's assume for a moment that you could
3 access Eagle Rock but that the mining were going on in the
4 vicinity, as you see there adjacent to Eagle Rock; right
5 across the road about a quarter of a mile away more
6 facilities. Would you still go to Eagle Rock if that were
7 the case?

8 A Well, provided you could get through the fence, I probably
9 wouldn't go back there.

10 Q Why not?

11 A Because it would be desecrated.

12 Q And why is that? If the -- what if the top of Eagle Rock
13 were left undisturbed and the top looks just like it looks
14 today, then what?

15 A I believe -- you -- in understanding our culture and
16 traditions that there are -- it goes down below.

17 Q What do you mean?

18 A It goes -- the spiritualness of the rock or the area goes
19 straight to the core of the earth, according to our
20 teachings.

21 Q So does it matter to you if the tunnel is at the very top or
22 in the middle or underneath the ground surface of Eagle
23 Rock? Does that -- what does -- does that have anything to
24 do with the spiritual nature of Eagle Rock for you?

25 A Yes, it does. As I said, it would be desecrated. It would

1 not be the same.

2 Q Even though the tunnel is proposed to be beneath the ground
3 surface?

4 A Yes. To put it in another analogy, it would be like
5 Christians, you know, finding -- say they found dinosaur
6 bones under their Calvary Hill and they wanted to dig that
7 up. Well, that would be desecrating that site. It's the
8 same thing.

9 Q I see. What does the phrase "place of worship" mean to you?

10 A A place where I can commune with the great spirits.

11 Q Do you consider Eagle Rock to be a place of worship?

12 A Oh, yeah; yes, I do.

13 Q Has anybody from Kennecott ever made any effort to talk to
14 you about the importance of Eagle Rock?

15 A No.

16 Q Has anybody from the DEQ ever made any effort to talk to you
17 about the importance of Eagle Rock?

18 A No.

19 MS. HALLEY: I don't have any more questions at
20 this time.

21 MR. EGGAN: I have nothing.

22 MS. LINDSEY: Good morning, Mr. Downwind.

23 THE WITNESS: Good morning.

24 MS. LINDSEY: I have just a couple of questions.

25 CROSS-EXAMINATION

1 BY MS. LINDSEY:

2 Q You wrote a letter to Susan LaFernier, did you not, about
3 Eagle Rock?

4 A Yes, I did.

5 Q And that was in 2006?

6 A Yes.

7 Q If I can just read from your letter, you said, "I was asked
8 by the Keweenaw Bay Indian community to look at an area" --

9 MR. EGGAN: Counsel, is this an exhibit?

10 MS. LINDSEY: It is not, but I'm going to ask him
11 to --

12 MR. EGGAN: Well, then please don't read it until
13 it's been offered and established as an exhibit.

14 MS. LINDSEY: I don't believe it needs to be an
15 exhibit to talk to him about his letter.

16 Q You wrote a letter; correct?

17 A Yes, I did.

18 Q Okay.

19 MS. LINDSEY: I can make it an exhibit. I was not
20 going to make it an exhibit.

21 MR. EGGAN: It's up to you, Counsel, but I -- if
22 it's not an exhibit, I'd just as soon you not read it.

23 JUDGE PATTERSON: Well, it's a letter that Mr.
24 Downwind wrote, and I think --

25 MS. LINDSEY: Correct.

1 JUDGE PATTERSON: -- your just asking him to
2 acknowledge the language of that, as I understand.

3 MS. LINDSEY: That's all I'm asking.

4 JUDGE PATTERSON: All right. I'll allow that.

5 MS. LINDSEY: Okay.

6 Q So in that letter you were talking to Ms. LaFernier --
7 correct? -- about being asked to look at an area called the
8 Eagle Rock?

9 A Uh-huh; yes, I was.

10 Q And that was in 2006?

11 A Okay.

12 Q So was it Ms. LaFernier who asked you to look at Eagle Rock?

13 A Yes, it was. But we had already been using it since 2002.

14 MS. LINDSEY: I have nothing further. Thank you.

15 THE WITNESS: Thank you.

16 MR. REICHEL: I have no questions.

17 MS. HALLEY: I just have one clarifying question.

18 REDIRECT EXAMINATION

19 BY MS. HALLEY:

20 Q When you first started using Eagle Rock in 2002, did it have
21 anything at all to do with the proposed mine?

22 A No. As I stated earlier, it was for prayer basically for
23 the travel people; that we needed new ceremonial offerings
24 for the travel people. That was the recommended place by
25 the elders.

1 MS. HALLEY: Thank you. No further questions.

2 JUDGE PATTERSON: Thank you, sir.

3 MS. HALLEY: Thank you.

4 MR. HAYNES: Your Honor, before we call our next
5 witness, I'm afraid we have to take that dreaded technology
6 break.

7 JUDGE PATTERSON: Okay. All right. How long do
8 you need?

9 MR. HAYNES: Five to ten minutes.

10 (Off the record)

11 MR. HAYNES: Petitioners call Robert Prucha to the
12 stand.

13 REPORTER: Would you raise your right hand? Do
14 you solemnly swear or affirm the testimony you're about to
15 give will be the whole truth?

16 DR. PRUCHA: I do.

17 ROBERT H. PRUCHA, PH.D.

18 having been called by the Petitioner and sworn:

19 DIRECT EXAMINATION

20 BY MR. HAYNES:

21 Q Would you say your name for the record and spell your last
22 name, please?

23 A Robert H. Prucha. It's P-r-u-c-h-a.

24 JUDGE PATTERSON: I'm sorry. Can you do that
25 again?

1 THE WITNESS: It's P-r-u-c-h-a.

2 JUDGE PATTERSON: Okay. Thank you.

3 THE WITNESS: Uh-huh (affirmative).

4 Q Dr. Prucha, could you tell us briefly what your educational
5 background is?

6 A I have a background in geology, hydrogeology and
7 engineering -- water resources engineering.

8 Q And did you obtain a bachelor's degree?

9 A I did.

10 Q In what subject?

11 A Geology.

12 Q And where did you get your bachelor's degree from?

13 A At UC Berkeley.

14 Q For those of us out here in the Midwest --

15 A In California.

16 Q Thank you. And, Dr. Prucha, did you receive a master's
17 degree from an educational institution?

18 A I did.

19 Q From where and in what?

20 A University of California at Berkeley, and that was in the
21 mining hydrology --

22 Q And what was your --

23 A I'm sorry -- engineering hydrology.

24 Q And what was your master's thesis or the subject of the
25 master's thesis?

1 A Geothermal reservoir engineering.

2 Q And did you obtain a Ph.D.?

3 A I did.

4 Q From where and when?

5 A University of Colorado at Boulder in 2002 in civil
6 engineering water resources.

7 Q And what was your Ph.D. thesis?

8 A It was on looking at integrated hydrologic models and
9 developing conceptual and numerical frameworks for
10 large-basin systems and in semiarid areas.

11 Q Dr. Prucha, where do you live?

12 A In the Boulder, Colorado, area.

13 Q Do you have any professional registrations?

14 A I do. I'm a professional engineer in the State of Colorado
15 and in California.

16 Q Could you give us briefly your work experience post master's
17 degree?

18 A I worked at several companies, some large -- a large
19 engineering firm, a smaller engineering firm for a number of
20 years.

21 Q And generally what have your duties been in your work?

22 A Mainly to develop hydrologic models, water-flow systems.

23 Q And what is your present employment?

24 A I co-own a small business called Integrated Hydro Systems,
25 and we are involved in developing to a large extent models

1 or reviewing models that have been developed for surface
2 water systems, groundwater systems, the integrated coupling
3 of those systems.

4 Q Have you published any papers dealing with hydrologic
5 modeling?

6 A I have; integrated modeling to a large extent where you
7 couple groundwater systems and surface water systems.

8 Q And are those papers listed in your resume?

9 A They are.

10 MR. HAYNES: For the record, Dr. Prucha's resume
11 is Petitioner's Exhibit 120, and it has been admitted by
12 stipulation.

13 Q Dr. Prucha, in your experience and education, have you
14 become familiar with geologic terms?

15 A Yes.

16 Q And for instance, geologic terms such as "dikes"?

17 A Yes.

18 Q "Faults"?

19 A Yes.

20 Q A geologic term such as "unconsolidated material"?

21 A Yes.

22 Q By the way, is that a relatively recent phrase that's used
23 to describe another -- is there another way to describe
24 unconsolidated material? What did it used to be called?

25 A It's what I normally refer to as unconsolidated material or

1 deposits that are not consolidated. They're not in hard
2 rock.

3 Q So unconsolidated material would be not bedrock?

4 A That's right.

5 Q In your field of hydrology and water resources engineering,
6 are there other geologic terms that would be used that are
7 relevant to your testimony today?

8 A You may hear terms like "quaternary deposits" or "alluvial
9 deposits."

10 Q And what do you mean by "quaternary deposits"?

11 A Those are really Ice Age -- post Ice Age deposits, and I
12 think they can be synonymous with the unconsolidated
13 deposits or materials.

14 Q And what about alluvial deposits?

15 A Alluvial deposits are deposits that were deposited in a
16 moving-water system.

17 Q So how would you distinguish from a geologic standpoint
18 quaternary deposits from alluvial deposits?

19 A "Quaternary deposits" just refers to an age or a date, and
20 they're pretty much the same material.

21 Q I see. Now, do you have experience reviewing hydrogeology
22 reports of other consultands?

23 A I do.

24 Q Do you have experience writing such reports?

25 A Yes.

1 Q And has that been true throughout your career?

2 A Yes.

3 Q Do you have experience reviewing characterizations of

4 bedrock aquifers?

5 A Yes.

6 Q And has that been true throughout your professional career?

7 A I would say not exclusively. I probably spent more time

8 looking at unconsolidated deposits. But in almost every

9 system I've looked at, bedrock becomes an important factor

10 in looking at the whole hydrology of the system.

11 Q I see. And do you have experience preparing reports dealing

12 with characterizing groundwater flow?

13 A Yes.

14 Q And would those reports characterizing groundwater flow deal

15 with groundwater flow in the unconsolidated materials as

16 well as bedrock?

17 A Yes.

18 Q Do you have experience designing conceptual groundwater flow

19 models?

20 A Yes.

21 Q And for Judge Patterson's benefit and perhaps for ours too,

22 can you give a brief description of what you mean by

23 "conceptual groundwater flow model"?

24 A It's a term that's used to describe where you think water

25 comes into a system; the basic structure of the system; the

1 aquifers where water flows through; the aquatards where
2 water doesn't flow through so easily; where water exits the
3 system. So it's really a pretty comprehensive description
4 of where you think the water's going throughout the system
5 and what the stresses are or influences -- factors that
6 influence its movement through the system.

7 Q And, Dr. Prucha, these models are predictive systems, are
8 they not?

9 A That's right.

10 Q Do you have experience calibrating groundwater flow models?

11 A Yes.

12 Q And what do you mean by "calibrating groundwater flow
13 models"?

14 A It's the process where you develop a conceptual
15 understanding of the system, and you construct a
16 mathematical model of the flow going through the system.
17 And the process of calibration is your efforts to try and
18 reproduce what you see in the field, either flows or
19 groundwater levels, within a specified degree of tolerance.

20 Q When you say "a specified degree of tolerance," what do you
21 mean by that?

22 A Well, that's where you say -- when you develop a model and
23 you try and reproduce a water level at a given point within
24 the system or flow, the model's only a representation of the
25 true system. There are simplifications. But effectively,

1 that means that you will have some difference between what
2 you simulate and what you observe. And the calibration
3 attempts to reduce or minimize that difference between your
4 observed and estimated or simulated level at that point.

5 Q Dr. Prucha, in your experience, do you have experience
6 validating groundwater flow models?

7 A I do.

8 Q And what do you mean by "validating groundwater flow
9 models"?

10 A We typically use it in a context of having developed a
11 calibrated flow model, and typically you use it in the
12 context of -- when you calibrate a model, you have another
13 set of system observations, a distinct set. And you try to
14 reproduce that set so it's -- the first model that you
15 calibrate is one set of conditions. The second would be
16 another set of conditions. Maybe the rainfall changes. And
17 you go through the same process of calibration, where you
18 compare the simulated or estimated model-derived value with
19 what you observe. And again, if you can show that your
20 model correctly, you know -- or reproduces the system flow
21 within this tolerance in both conditions, it provides
22 considerably more credibility in the model that you've
23 developed; that it reproduces the system.

24 Q I see. In your work, Dr. Prucha, do you have experience
25 using models to predict groundwater flows?

1 A Yes.

2 Q Is that the purpose of such models or a purpose?

3 A It's a purpose, yes.

4 Q And in your work, Dr. Prucha, do you have experience
5 performing uncertainty analyses?

6 A Yes.

7 Q And what, for our benefit, is an uncertainty analysis?

8 A After you develop this series of models that you believe
9 represents the system within this tolerance that you've
10 specified, because the model is a -- it's a simplification
11 of the actual system, you acknowledge that there will be
12 some error in that calibration. And the uncertainty
13 analysis is an attempt to add effectively a plus or minus at
14 the end of a predicted value. So I estimate the flow out at
15 this river of "X" amount, and you would add a plus or minus
16 saying, "I believe that it's uncertain within a certain
17 range." So there are a series of steps that you usually go
18 through in conducting an uncertainty analysis, and it's
19 really a required step these days to qualify your response.
20 Because in modeling it's possible to develop a model that's
21 not very-well calibrated, and you can generate a significant
22 amount of uncertainty that could be greater than your
23 objective.

24 Q For purposes of your testimony today, Dr. Prucha, did you
25 review various groundwater models prepared by Kennecott and

1 its consultants?

2 A I did.

3 Q Dr. Prucha, we've had put on the screen a figure from
4 Kennecott Exhibit 7.

5 MR. HAYNES: This is the -- for the record, the
6 environmental impact assessment Appendix B-3.

7 JUDGE PATTERSON: B?

8 MR. HAYNES: B; "B" as in "boy," 3, figure 8.1.

9 Q Dr. Prucha, have you reviewed this figure?

10 A Yes.

11 Q And is this figure related to the hydrology of the -- excuse
12 me -- the groundwater modeling that was performed for the
13 proposed Eagle Mine?

14 A Yes.

15 Q Dr. Prucha, can you tell us what the various -- what your
16 understanding is of the various figures that are shown on
17 this figure 8.1?

18 A Okay. My understanding is that this is a map that describes
19 the locations of where they conducted a bedrock well test,
20 where they pumped the groundwater from the bedrock. And in
21 this upper left corner here shows a line going down here
22 with a black zone, and it says, "This is well 084." It's a
23 pumping test interval. They pumped the water from this
24 (indicating) zone in the lower bedrock, and they observed
25 the response in surrounding wells that are labeled at

1 various locations here.

2 Q And just for the record, what are the labels of the other
3 wells?

4 A To the left or west of the pump zone is well 84. And by the
5 way, this is a well that has an -- it was drilled at an
6 angle. So it started at the ground surface here and went to
7 the east. To the west of that pump zone is well 074, and it
8 actually starts at the surface to the south and goes up to
9 the north. They have a shallow well, 023, to the far
10 left -- upper left corner; have another well here, 107,
11 that's between 84 and, say, 23, and another well, 077, that
12 starts to the north and drops down into the lower bedrock to
13 the south. And they have a well to the far right called
14 YD02-20. The text below each just indicates the amount of
15 the drawdown at the -- during the test reported when they
16 pumped this particular well.

17 Q When they pumped well 84?

18 A Right; when they pumped well 84.

19 Q And just for the record, for instance, what was the drawdown
20 based upon this figure for well 074?

21 A I believe that says "83 feet" or "meters" -- "83 meters."

22 Q Okay. Can you explain for us what you mean by "drawdown"?

23 A When you pump a well -- and by the way, this particular well
24 was pumped from a particular zone that was packed off over a
25 small zones where there was a fracture noted that produced

1 flow through it. But drawdown effectively is, when you pump
2 this well, the water surrounding it with time starts to drop
3 from its original elevation, and that propagates out from
4 the pump zone with time. So at the location where the pump
5 was actually sitting in this well, the drawdown is the
6 greatest. The water level drops the most. And for this
7 well it was nearly 200 meters that they dropped that; couple
8 of football field lengths. It's a pretty significant drop.

9 And out at wells at a distance here, they
10 dropped -- this dropped 83 meters. So it's saying, in
11 effect, that the pumping at this lower -- from this lower
12 zone here (indicating) is influencing the water level at
13 this well 074.

14 Q Is the purpose of the pump test, then, to try to determine
15 how the water behaves underground when there is water drawn
16 out from underground?

17 A Yes.

18 Q Dr. Prucha, I've now put up on the screen from Petitioner's
19 Exhibit 63, this is slide 14. Dr. Prucha, is this a figure
20 that you prepared?

21 A I did.

22 Q And what was your purpose in preparing this figure?

23 A My intent was to take the figure that had been provided in
24 the report and simply try to locate it over the orebody and
25 with reference to the Salmon Trout River to tunneling in the

1 area and to noted faults.

2 Q All right. For this figure, we see a blue line that starts
3 on the bottom sort of center and then trends up and to the
4 left, and I see a label that says "Salmon Trout River." Is
5 that your representation for your analysis here of where the
6 Salmon Trout River is?

7 A That's right. This comes from the DEQ website for -- this
8 is just another geographical information shape file, so it's
9 a file that had this map, and I simply brought it into this
10 program.

11 Q So you transposed an electronic map onto this figure?

12 A That's right.

13 Q Okay. And then the -- there seems to be an -- I guess it's
14 orange-colored or magenta-colored figure to the north of the
15 Salmon Trout River. What does that represent?

16 A This (indicating) line?

17 Q Right; yes.

18 A The red boundary is the approximate location of the
19 orebody --

20 Q And where did you get --

21 A -- as I took off --

22 Q I'm sorry. Where did you get the orebody figure from?

23 A I traced that from a map that I'd gotten from a report and
24 brought that in. That wasn't provided.

25 Q And then we have a purple line that seems to go in various

1 directions. What's that represent?

2 A This is an approximate line that represents the tunnel. And
3 again I got that off of a map. The intent wasn't to draw it
4 super accurately but to get the approximate location and
5 reference it to the pump test wells.

6 Q I see. And horizontally going through about the center of
7 the figure, we see a light-blue sort of dashed line. What
8 does that represent?

9 A This is a line that represents a dike that a geologist in
10 the late 70's identified.

11 Q And by "a dike" -- what do you mean by "a dike"?

12 A It's an obtrusive body of material that's different than the
13 surrounding country rock. that is extending up vertically
14 relative to that country rock and --

15 Q And you've identified, it appears, on this figure that dike
16 as the Klasner dike?

17 A That's right, --

18 Q Is that your --

19 A -- as he defined it.

20 Q I'm sorry?

21 A As he defined it.

22 Q All right. Now, we also have a sort of a yellow line that's
23 on the right-hand side of the figure that trends sort of
24 northwest to southeast. What is that?

25 A This is actually the left side of a zone that the same

1 author, Klasner, in the late 70's defined as a fault zone.
2 And again, this was taken from his report by georeferencing
3 his material and lining it up with information that we had
4 at the local site here.

5 Q And we also see a red arrow in the upper right portion of
6 the figure that you seem to have labeled "Klasner Fault
7 Zone." What is that?

8 A Right. This orange line represents the westernmost boundary
9 of the fault zone. And so if you proceeded maybe 500 meters
10 to the east, it would represent the other side of this zone
11 that he had mapped as a fault zone.

12 Q Now, you may have already testified to this, but what was
13 your purpose in preparing this slide?

14 A The primary purpose was, when I read through these reports
15 initially, I had a lot of trouble trying to determine where
16 these wells were located with respect to the orebody. One
17 of my primary interests was to determine whether they had
18 characterized hydraulic -- through hydraulic testing the
19 entire area where they plan to mine, tunnel; whether they
20 had crossed mapped faults through the area.

21 Q Now, in your experience, Dr. Prucha, is it important for
22 modelers to take account of things like dikes and faults?

23 A Absolutely. They can be controlling features for the
24 hydrology, especially in bedrock systems.

25 Q When you say "controlling features," what do you mean?

1 A Controlling the groundwater flow through those systems in
2 the bedrock. The bedrock has been -- the matrix material,
3 not the material that's faulted, appears to be relatively
4 low permeability or has a low ability to transmit water
5 through it.

6 Q Let me see if I can -- if I understand what you mean. Are
7 you saying that bedrock normally doesn't allow water to flow
8 through it very fast?

9 A Not very readily, not compared to the unconsolidated depends
10 that would --

11 Q Above the bedrock?

12 A Which are maybe sands. It much more readily allows water to
13 flow through it; a greater volume.

14 Q And so, then, are you contrasting the dikes and faults with
15 the bedrock, then, in terms of the flow capacity?

16 A That's right. They're associated with the bedrock and, when
17 you think of the bedrock system -- when I read through the
18 report, I think the conclusion is that there's not much flow
19 through the bedrock system. And yet these large faults
20 are -- can be significant conductors of water through the
21 system -- through the bedrock system, and they can translate
22 water from the bedrock system into the over- -- the
23 unconsolidated material.

24 Q And explain that process for us; that is, how these faults
25 and dikes would transmit water more readily than the

1 bedrock. Why is that?

2 A Because their effectively open --

3 MR. LEWIS: Just a minute; just a minute. Just an
4 objection as to form, your Honor. The witness has testified
5 that they can be, and this question is now posed as if they
6 are. So I have an objection to the form and the foundation.

7 MR. HAYNES: Well, I'll rephrase it.

8 JUDGE PATTERSON: All right.

9 Q Dr. Prucha, how would you describe the process by which
10 faults and dikes can transmit water more readily than
11 bedrock?

12 A There are continuous features that -- in the case of Klasner
13 mappings, these are on the order of kilometers -- several
14 kilometers or miles, and they're open. They have a certain
15 width, and the -- they allow water to flow through readily
16 along those lineaments.

17 Q Describe a lineament for us.

18 A It's a straight -- I mean, generally these features tend to
19 be more linear than not linear.

20 Q Than curved or at right angles?

21 A That's right; that's right.

22 Q Dr. Prucha, I've had put up on the screen again from
23 Kennecott Exhibit 7 the environmental impact assessment
24 Appendix B-4, figure 9.5. And is this a figure, Dr. Prucha,
25 that you've reviewed?

1 A Yes.

2 Q And what was your purpose in looking at this figure?

3 A This is a predicted drawdown at the end of mining for what's
4 been referred to in the report as an upper bound case, where
5 they --

6 Q And explain for us what you understand an upper bound case
7 to mean as a -- from a modeling standpoint.

8 A Well, in modeling you try to define the range that could
9 possibly result from your interpretation of --
10 conceptualization of the system flow. When I reviewed a lot
11 of the available information, it suggests that there are
12 faults that run through the area that are extensive, and I
13 was looking to see in this result here (indicating) whether
14 the model that had been developed produces a drawdown --
15 simulated drawdown in the bedrock that is reasonable.

16 Q And, Dr. Prucha, when you reviewed this exhibit, did you try
17 to calculate the area that is shown by this figure in terms
18 of the drawdown post mining?

19 A The area impacted?

20 Q Yes.

21 A I did not actually calculate the area for this particular
22 drawdown.

23 Q Do you have an estimate?

24 A It's at least a mile in diameter.

25 Q So from the center of the figure out to the outermost

1 concentric circle here, we have a mile in diameter?

2 A A mile in diameter, right, at least.

3 Q Now, is that modeling dimension something that you would
4 expect to see from the models that you saw in the reports
5 that you reviewed?

6 A I was surprised that it wasn't more -- that it was so
7 concentric or circular. It didn't seem to indicate just by
8 design that the faults had a pronounced effect going north,
9 south and east, west like they imposed on this particular
10 model.

11 Q And for modeling an area that has a mile in diameter, would
12 you expect to see six wells used or more than six wells or
13 less than six wells?

14 MR. LEWIS: Objection; foundation.

15 MR. HAYNES: Your Honor, I think I've laid a
16 foundation that the witness can testify about how models are
17 constructed.

18 JUDGE PATTERSON: I agree. I'll overrule the
19 objection.

20 A I would expect over this area that you would have not only
21 more wells but not all located in one location.

22 Q And what do you mean by that?

23 A Well, relative to the size of the drawdown area here
24 (indicating), all of the wells in the bedrock are located in
25 the very smallest central drawdown area that you can't even

1 really see at this scale. It's almost a dot at this scale.
2 So in effect, they haven't characterized the bedrock system
3 over this entire area; just this small area largely within
4 the orebody.

5 Q Just so the record is clear, Dr. Prucha, you're saying that,
6 for purposes of this predicted drawdown figure, figure
7 8.5 -- excuse me -- 9.5, the wells are located within the
8 center circle, and there are no wells located. for purposes
9 of this drawdown prediction, in any of the other concentric
10 circles noted on this figure?

11 A Not that I noted in the reports.

12 Q Dr. Prucha, I've put up on the screen from Kennecott Exhibit
13 7 the environmental impact assessment Appendix B, as in
14 "boy," 1, figure 4. And is this a figure that you have
15 reviewed?

16 A Yes.

17 Q And what does this figure show you in terms of the geology
18 of the area around the proposed mine?

19 A Well, first of all, the proposed mine is located in this
20 area, and it --

21 Q You're pointing with a laser to the center?

22 A In the central part of the figure. And the Salmon Trout
23 extends just below that and off to the west going to the
24 north. And what I saw from this figure was a number of
25 faults -- fault lines that go from southeast to northwest,

1 pretty much paralleling each other. And in some cases
2 they're offsetting dikes that are effectively for the most
3 part running east/west. Another thing that struck me about
4 this figure was the length of these.

5 Q Of these what?

6 A Of these dikes and the faults; that the lengths of these
7 are -- and here's the scale here. This is 1 kilometer, this
8 scale down in the lower left. And these -- there are one,
9 two, three, four dikes shown on here that are running
10 east/west, and these are several kilometers -- several miles
11 long. And I believe that other information I've looked at
12 it's actually these extend on for even longer than that.

13 Q And why is that significant for purposes of groundwater
14 modeling? Let me rephrase the question. Is that
15 significant for purposes of groundwater modeling?

16 A It is.

17 Q And in what way?

18 A Well, I believe that these dikes can be low-permeability
19 material compared to the surrounding country rock. In terms
20 of the implications for modeling and so forth, these weren't
21 considered in the model, and they would certainly have an
22 impact on any estimate or prediction put forth by those
23 models from the drawdown in this particular area.

24 Q Dr. Prucha, if you had been asked to prepare a groundwater
25 model for this mining application, would you have put these

1 dikes and faults into the groundwater model?

2 A Absolutely.

3 Q Would that have been best practices?

4 A Yes.

5 Q I'm sorry, Dr. Prucha. The faults and dikes, are those
6 areas of low permeability or high permeability?

7 A Well, the dikes are generally considered to be areas of low
8 permeability except for the information that I've reviewed
9 from Marcia Bjornerud and Stan Vitton that indicates that
10 there are brecciated zones around either side, the contact
11 of these with the surrounding country rock.

12 Q And excuse me. What do you mean by "brecciated zones"? And
13 could you spell that for the record so the court reporter --

14 A B-r-e-c-c-i-a-t-e-d.

15 Q And what are brecciated zones?

16 A My understanding is that they're the zone between the
17 intrusive that was hot, and it cooled and created fractures
18 in the country rock that was colder, and it created the
19 fractured rock that's permeable, and that permeability
20 allows water to freely move through that zone. So you can
21 imagine that these might be impermeable to flow in a
22 north-south direction. The dikes that are located east/west
23 may be impermeable or prevent significant flow going from
24 north to south. But along them on these brecciated zones at
25 a large scale like this, you can imagine them preferentially

1 routing water along them. Then add that into conjunction
2 with the noted faults through the area -- and I note that
3 some of these actually align with rivers, which I think is
4 another important point that was sort of overlooked.

5 Q And how is it important to note that faults are generally
6 aligned with rivers?

7 A Well, in a lot of systems I've looked at, this is generally
8 the case, where over the time the rivers tend to align
9 themselves with these large structural features, because
10 water moves through these faults preferentially, and they
11 establish a connection with the surface water because they
12 tend to drain water out through the rivers.

13 MR. HAYNES: I apologize, your Honor. We have to
14 wait for the electrons to move right.

15 Q Now, Dr. Prucha, for purposes of your testimony, did you
16 prepare the figure that we have up on the board, which is
17 slide 13 of Petitioner's Exhibit 63?

18 A Yes.

19 Q And what were your source materials in preparing this slide?

20 A Again, the information that is shown on the map. I have a
21 topography shown with the various colors underlying the
22 whole box here (indicating).

23 Q And what do the colors represent generally?

24 A Elevations generally are higher in red zones and lower in
25 darker colors off to the north.

1 Q And what else have you shown on this figure?

2 A I've also shown the Salmon Trout River. It's roughly in the
3 center of the diagram and goes up towards the north.

4 Q And does the diagram show the orebody?

5 A It does; a little red zone here (indicating) just above the
6 Salmon Trout River, and then it shows Eagle Rock off to the
7 right of that in the center area.

8 Q And what do the green lines represent -- the green
9 horizontal lines?

10 A The green lines are the dikes that we saw in the former
11 exhibit.

12 Q And what about the -- I think those are red sort of
13 northwest-southeast-trending lines.

14 A These are the faults, the darker, almost brownish color
15 heading off to the northwest.

16 Q And we also have a series of lighter blue lines that look
17 like they tend mostly east and west. What are those?

18 A These were dikes as mapped by Klasner in 1979.

19 Q I see. And on this figure we have at the top -- it appears
20 to be a reference to Rossell and Coombes 2005. What is
21 that?

22 A They were the authors of the geology report that I reviewed.

23 Q And what was your purpose in preparing this slide?

24 A Well, I'd also note that Klasner also mapped the orange
25 lines here as well, and these were faults in the area. And

1 one of my primary interests was to see how two different
2 groups were mapping the faults and dikes in the area.

3 Q Did you find the mapping between the two authors consistent
4 generally or inconsistent generally?

5 A More consistent than inconsistent, but I did find
6 differences.

7 Q Now, Dr. Prucha, have you reviewed Marcia Bjornerud's report
8 that was submitted as part of the comments for the
9 application in October of 2007?

10 MR. HAYNES: And for the record, that is
11 Petitioner's Exhibit 3, Appendix A already admitted.

12 A Yes.

13 Q Dr. Prucha? "Yes"?

14 A Yes.

15 Q And what portion of that report, if any, was significant to
16 you for your analysis here?

17 A Probably the most significant part was the brecciated zone
18 along the dikes and the fact that these could be very
19 significant water conductors or routes that groundwater can
20 preferentially flow through.

21 Q Now, Dr. Prucha, we've had put on the screen from Kennecott
22 Exhibit 11 the environmental impact assessment -- excuse
23 me -- Appendix B, as in "boy," 8, figure 21. And what was
24 your -- you've looked at this exhibit, did you not?

25 A Yes.

1 Q And what was your purpose in looking at this figure 21,
2 which is the conceptual hydrologic -- excuse me --
3 hydrogeologic cross-section B to B prime?

4 A The point of this was to see whether the authors of the
5 report had considered whether the intrusive that was mapped
6 at the orebody was actually located underneath the Salmon
7 Trout River and --

8 Q And what does this figure show you in that regard?

9 A This shows me that they are considering that at this -- in
10 this particular conceptual diagram; that the actual dike
11 that's shown with sort of the left part of the diagram
12 that's sort of a vertical structure, and it's elevated with
13 respect to the surrounding country rock has intruded and
14 sits below and is in contact with the Salmon Trout River and
15 likely the wetland area.

16 Q Dr. Prucha, you've been talking about country rock. I don't
17 see on this figure the phrase "country rock." Is there a
18 designation of rock or soil types on this figure that would
19 translate to country rock?

20 A It would be what they're referring to as the bedrock
21 metasedimentary rock, and it's -- the writing doesn't show
22 it well on this plot, but it underlies the unconsolidated
23 material, and it appears on the left and the right of this
24 (indicating) near-vertical dike or what they would refer to
25 as igneous intrusive.

1 Q Does the phrase "metasedimentary" have a particular meaning
2 in geology, just for the record?

3 A It's of sedimentary origin, and it has been consolidated
4 into a rock as opposed to unconsolidated.

5 Q I see. And is there a significance about this figure for
6 modeling purposes?

7 A A big significance.

8 Q And what is that?

9 A Well, in terms of producing a model, you'd want to be able
10 to show that the bedrock system is intruding to the ground
11 surface. And although this (indicating) figure doesn't come
12 out in the area that's black here, it actually shows
13 stratification of different layers in the unconsolidated
14 material. But probably the most important thing about this
15 drawing is the fact that, if -- I mean, there are brecciated
16 zones in the contact of this intrusive. This would offer a
17 direct conduit between lower bedrock areas where they're
18 going to be dewatering the mine and surface water, in
19 addition to the shallow aquifer system shown in black on
20 this picture.

21 Q Now, I notice on this figure that there are some appear to
22 be designations along the top -- along the surface. What
23 are those designations?

24 A Well, in the original diagram, they refer to "boreholes"
25 or -- that are, you know, actually wells that have been

1 drilled through the dark area here, which is really the
2 unconsolidated material. So there are wells at each one of
3 these points.

4 MR. HAYNES: Your Honor, I apologize for the
5 opaqueness of the exhibit, but I think that Mr. Egan will
6 be able to clear this up later with a color version. So I
7 apologize.

8 MR. EGGAN: We can do that if you wish, if it
9 would help to have the color version.

10 MR. HAYNES: It would help, yes.

11 MR. EGGAN: Okay. Do you want it now?

12 MR. HAYNES: Yes.

13 MR. EGGAN: MDEQ 010814. Okay. It's a different
14 one. Let me give you a different one. I think it's MDEQ
15 0110820.

16 THE WITNESS: That's it.

17 MR. EGGAN: That's it in color.

18 Q All right. Dr. Prucha, Mr. Egan has graciously put up on
19 the screen the same figure 21 in color. And with that help,
20 can you explain for us what the different colors are in the
21 legend for the different kinds of rock?

22 A Sure. The brown and the blue really are what are defined as
23 sands, and the only difference there is that the blue is
24 where groundwater has saturated the pores and exists there
25 above that. It's referred to as a vadose zone, so it's

1 still sand, but there's not groundwater actually in that
2 zone.

3 Q And just for the record, "vadose" is spelled how?

4 A V-a-d-o-s-e.

5 Q Thank you.

6 A The purple zone is referred to here as a fine sand silt and
7 clay, and the red is considered a lean clay.

8 Q And what is a lean clay?

9 A Effectively a clay that has low permeability with respect to
10 sand. So hydrologically it's going to provide less flow
11 through it than sand.

12 Q I see. And the metasedimentary bedrock is in what color?

13 A Is gray, and it's shown below all of the unconsolidated
14 soils in different colors.

15 Q All right. And then back to my question previously about
16 the designations that appear to be on the surface here.
17 What are those?

18 A These are simply well names, and associated with each well
19 is a borehole that was drilled to install the well, and they
20 record the geology as they go down.

21 Q And the representation here on this figure as you understand
22 it shows the boreholes relating to the depth of the
23 boreholes; is that a fair statement?

24 A I'm not sure --

25 Q Well, let me rephrase it. That was rather awkward. For

1 these well designations does the figure show the depth of
2 the well approximately?

3 A Relative to the ground surface shown here at the top it
4 does, yes.

5 Q Dr. Prucha, for groundwater modeling is it important for
6 purposes of groundwater modeling to test the groundwater
7 flow system?

8 A To perform hydraulic tests on the system, it's imperative to
9 develop that understanding before jumping into modeling.

10 Q And how do you test the groundwater flow system?

11 A Well, typically you will go out, and one of the most
12 important bits of information is to measure the groundwater
13 surface. So this line right here (indicating) that defines
14 the blue-brown contact is a critical surface. That really
15 is probably the most important bit of information about the
16 groundwater system that you need to understand. And when
17 you go to test the system -- and by testing, the whole
18 purpose of that is to define the hydraulic properties of
19 each of the wells, the material that's screened across each
20 of the wells.

21 Q And just for Judge Patterson's benefit, what do you mean by
22 "screening across the wells"? What does that mean?

23 A Well, each one of these wells it will have at the bottom --
24 as though you stuck a straw into the ground, it has a zone
25 where it's perforated and allows water from the surrounding

1 aquifer to come into the well. And the rate at which it
2 comes in gives you a lot of information about the hydraulic
3 properties of that aquifer material.

4 Q And does the testing of the groundwater flow system depend
5 on the number of wells used?

6 A Yes.

7 Q And does it depend on the spacing, the geographic spacing of
8 those wells?

9 A Yes.

10 Q And does the spacing and number of wells relate to the
11 appropriate coverage for the groundwater model?

12 A Yes. It's important to have the correct spacing.

13 Q That is, the coverage of the area that's modeled?

14 A Did they include the correct spacing for the modeled area?

15 Q Well, that was going to be my next question. Was for this
16 model, Dr. Prucha, in your view, the appropriate spacing
17 used for the wells?

18 A I don't believe so, no; no.

19 Q Why not?

20 A They're located in -- if I were asked to go down and perform
21 the test of the shallow aquifer system here, I would locate
22 them primarily in the areas where I anticipate the greatest
23 mine dewatering impacts to occur. And I don't see that that
24 was done here.

25 Q Dr. Prucha, we've gone back to slide 13. In relation to the

1 question of the appropriate spacing of groundwater wells and
2 considering the geologic structures that you've already
3 testified to, for purposes of testing a groundwater model
4 for the area around the proposed mine, where would you have
5 expected wells to have been placed?

6 A All along the area from East Eagle over the tunnel entrance
7 on the north side of the orebody through the orebody over
8 that entire area plus any area that you would expect to be
9 impacted around that. And given that this is largely
10 underneath the Salmon Trout River, I would have expected
11 wells on both sides and located -- you know, a number of
12 wells in that area.

13 Q And in view of the geologic properties shown on this slide
14 13, Dr. Prucha, what would you expect in terms, not only in
15 number but also the placement of the wells?

16 A Well, with reference to this plot here, I would have
17 expected wells to be placed along noted -- near noted dikes,
18 the brecciated zones above those, to see if there is contact
19 and how much flow would occur there. I would expect them to
20 have been placed near mapped faults -- fault zone areas.

21 Q And in your review of the groundwater models prepared by
22 Kennecott and its consultants did you observe any such well
23 located along those geologic structures?

24 A These are the features that I would expect to be major water
25 conductive features 'cause they were mapped, and they're

1 very long. They run for miles. And I didn't observe that.

2 Q And would you consider that best practices for groundwater
3 modeling?

4 A No.

5 Q Dr. Prucha, we've had put back up on the screen slide 14
6 from Petitioner's Exhibit 63. For the six wells that were
7 placed and noted on your slide here, slide number 14, would
8 you expect a groundwater model to be able to model the flow
9 in the area shown on this slide as covered by these six
10 wells?

11 A No.

12 Q Why not?

13 A Well, I don't believe that putting six wells in this area
14 right here (indicating) covers even the area that they plan
15 to dewater, let alone the area where faults have been mapped
16 in the area or possible connection of this brecciated zone
17 along the intrusive, the light blue line here in the center
18 of the page just above the Salmon Trout River.

19 Q What do you understand from your reading of the reports, Dr.
20 Prucha, to be the area that is planned to be dewatered?

21 MR. LEWIS: Objection to the form of the question,
22 your Honor.

23 MR. HAYNES: I'm not sure what the objection is.

24 MR. LEWIS: I'm not clear if there's -- I don't
25 know what "plan to dewater" means. I've got no recollection

1 of anybody talking about a plan to dewater. It may simply
2 be that if I could get a little more explanation of what
3 we're talking about, it would be fine.

4 MR. HAYNES: I'll do that, your Honor.

5 JUDGE PATTERSON: Okay.

6 Q Dr. Prucha, you mentioned the phrase "plan to dewater."
7 What do you understand by that?

8 A The scheme to actually dewater the tunnels so that they can
9 actually carry on the mining.

10 Q So did the documents you reviewed talk in any sense about
11 dewatering the tunnels as the tunnel is built?

12 A Well, not specifically about every tunnel, but they do have
13 a dewatering plan.

14 Q I see. And so back to my question, Dr. Prucha, what would
15 you expect these six wells to be able to show in terms of --
16 in terms of the area that's going to be dewatered for this
17 mine?

18 A Well, I think at most you can say something about only the
19 area that they extend. And they don't extend up into the
20 access tunnel to the north all the way over to East Eagle
21 Rock.

22 Q And would you have expected that modeling to -- or that
23 characterization to occur for this proposal?

24 A Absolutely.

25 Q That would have been best -- or would that have been best

1 practices?

2 A Yes.

3 Q And based upon the six wells that you have observed in the
4 modeling proposed by Kennecott, would you expect those six
5 wells to be able to be the basis for a model for the one
6 mile in diameter area that you described before?

7 A No.

8 Q Why not?

9 A It's too small of an area. And also the design of this test
10 presumes that they have, in fact, intercepted a larger water
11 conductive zone like the brecciated zone or, say, the fault
12 zone over here (indicating) that Klasner had defined in
13 orange.

14 Q When you say "the design of the test," what do you mean?

15 A The placement of the wells, the depth that they're pumping
16 from, the fractures that they pump from and as it relates to
17 the location of those, and they don't seem to acknowledge
18 that these large-scale mapped water conductive features
19 exist or potentially impact their test.

20 Q Now, Dr. Prucha, we've had put on the screen, from Kennecott
21 Exhibit 7 the Environmental Impact Assessment Appendix B-4,
22 page 16. Dr. Prucha, this is section 7.1 and 7.3 of
23 Appendix B-4. And what is the significance of the
24 discussion in this section for the purposes of groundwater
25 modeling?

1 A Well, as far as I can tell, the pump test on well 084 was
2 pumped from a zone about 257 to 260 meters down. And this
3 is the basis for that. And I wasn't very clear why that
4 zone was chosen as the only zone to really pump test and
5 then calibrate an entire bedrock model to.

6 Q I see. So is it your understanding that only one zone of
7 this well that extends for almost 300 meters was tested
8 here?

9 A In this particular case, yes, for this pump test that we
10 referred to on that former diagram.

11 Q And were there other pump tests performed as part of the
12 modeling besides this one?

13 A Not to my knowledge, that went into actually calibrating
14 their bedrock model.

15 Q And in your view, based upon your experience, is the well
16 084 representative of the orebody?

17 A I would say of the orebody, it's through the orebody, so I
18 would question whether it's fully representative of the
19 entire orebody. It's one well.

20 Q Would you have expected for best practices to have seen more
21 wells through the orebody and more pump tests through those
22 wells?

23 A I would have expected to see more outside in the tunnel
24 area, any area they plan to dewater.

25 Q And did you see those?

1 A No.

2 Q Now, Dr. Prucha, we've had put up on the screen, Kennecott
3 Exhibit 7, Environmental Impact Assessment, Appendix B-1,
4 Figure 18, which is labeled "Surface Monitoring Locations."
5 Have you reviewed this figure?

6 A Yes.

7 Q And what, for purposes of your testimony, is the
8 significance, if any, of this figure?

9 A Well, where they are collecting surface water flow
10 measurements, for example, on the Salmon Trout River here
11 located sort of in the left center part of the screen, it
12 heads off. And each one of these (indicating) triangles is
13 a surface water gage.

14 Q And is the placement of the surface water gages, from your
15 view, Dr. Prucha, appropriate for the model that was
16 performed here?

17 A Well, there were several models produced, but for the models
18 that actually included the river flow, it is important
19 because they used this information to help calibrate it to
20 observed flow.

21 Q Dr. Prucha, I've had put on the screen the first page from
22 Petitioner's Exhibit 61, which is entitled "Technical Report
23 Number 3 of the Michigan Department of Conservation
24 Geological Survey Division," entitled "Groundwater
25 Investigations of the Marquette Iron Mining District,

1 Michigan," dated 1954. Have you reviewed this?

2 A Yes.

3 Q And what was your purpose in reviewing this document?

4 A I was interested in seeing whether nearby mines have had
5 similar water inflows or dissimilar inflows predicted,
6 whether they have associated surface water impacts.

7 Q And would a prudent modeler take into account the experience
8 of nearby mines for purposes of modeling the groundwater
9 flow in a proposed mine in the location of the proposed
10 Eagle Mine?

11 A Yes. If it's a similar environment, yes.

12 Q Now, Dr. Prucha, we've put up on the screen page 20 from
13 proposed Petitioner's Exhibit 61 and the text of this, which
14 is pretty faint right now. But what's significant to you
15 about the text of this report for purposes of modeling the
16 groundwater flow at the proposed Eagle Mine?

17 A What I found here that it is a similar environment to the
18 Yellow Dog Plains in that it has similar material, outwash
19 sands, till material and this -- the thicknesses are 100,
20 200 feet thick. It overlies a bedrock. The bedrock is
21 fractured, has dikes running through it. And so from that
22 perspective, I think on this particular page, that was the
23 point.

24 Q I see.

25 MR. HAYNES: Move the admission of Petitioner's

1 Exhibit 61.

2 MR. LEWIS: No, objection, your Honor.

3 JUDGE PATTERSON: All right. No objection, it
4 will be entered.

5 MR. REICHEL: No objection.

6 JUDGE PATTERSON: I'm sorry.

7 MR. LEWIS: Mr. Reichel's back today.

8 (Petitioner's Exhibit 632-61 received)

9 Q Now, why would a prudent modeler take into account the
10 experience of nearby mines?

11 A My perspective it's to assess the range of inflows that are
12 possible in an environment similar to the Yellow Dog Plains,
13 the long history of mining where they're mining in the
14 bedrock system. And I wanted to compare what had been
15 predicted by models in the Yellow Dog Plains to what is
16 reported in this report.

17 Q So would the range of inflows be related to what sometimes
18 is known as "the worst case scenario"?

19 A Yes.

20 Q And is that also sometimes known as the upper bound?

21 A In this report, yes -- or these reports that I've reviewed
22 from Kennecott.

23 Q And does that relate to your previous characterization of
24 modeling in terms of the range of uncertainty?

25 A Yes.

1 Q That is, we have a lower bound and an upper bound for the
2 range of uncertainty for any model?

3 A Yes.

4 Q And did you observe in your review of the Kennecott reports
5 any analysis or discussion of the experience at nearby mines
6 in terms of the inflow into those mines?

7 A In terms of the flow rates?

8 Q Yes.

9 A Yes.

10 Q And what did you find in those reports?

11 A I found several mines have reported inflows of up to several
12 thousand gpm, so significantly higher than what I was seeing
13 reported from the modeling and estimates done by Kennecott.

14 MR. LEWIS: I'll just place an objection, your
15 Honor, to the last question and answer. Number one, the way
16 I heard the question it was, had he read such information in
17 Kennecott reports? So I took it that the question -- or the
18 answer would be in that reference. However, it sounds like
19 there's some testimony being offered about some mine inflows
20 at other mines other than this mine. And to the extent
21 that's the testimony, I would just remind the court of my
22 continuing objection, I think, at this point about such use
23 of evidence from other mines without sufficient foundation
24 of similarity and would move to strike the last answer on
25 that basis.

1 MR. HAYNES: Your Honor, I have two responses:
2 One, I don't understand why Counsel needs to put the
3 continuing objection on the record. You've already ruled
4 that nearby mines are relevant, and so that's now done. And
5 so the continuing objection is just slowing us down.
6 Second, I'm going to ask the witness again the same
7 questions because I didn't -- I mean, I thought the answer
8 was a little off track, so I want to get back to that
9 question.

10 JUDGE PATTERSON: That was unresponsive, so okay.

11 Q Dr. Prucha, I asked earlier whether you observed in the
12 Kennecott reports in the models you reviewed any discussion
13 of experience at nearby mines in terms of groundwater inflow
14 to those mines?

15 A No.

16 Q Now, Dr. Prucha, I've had put up on the screen the first
17 page and an enlarged portion of that of Petitioner's Exhibit
18 60 which is entitled "Technical Report Number 2, Groundwater
19 Problems of the Iron River District, Michigan," prepared by
20 the Michigan Department of Conservation Geological Survey
21 Division, June 1948. Did you review this document for
22 purposes of your testimony today?

23 A I did.

24 Q And is this a document that a prudent modeler would consider
25 in the conduct of his or her work?

1 A Yes.

2 Q And what was your purpose in reviewing this report?

3 A To assess mine inflows that were measured at mines in this
4 area and to assess surface water impacts.

5 Q And how is the experience of nearby mines, if at all,
6 relevant to assessing surface water impacts at this proposed
7 mine?

8 A Well, it demonstrates that mines in the area can impact
9 nearby surface water. And I point out that both this
10 exhibit and the previous one, none of the mines that I
11 looked at were sitting right underneath a river like the
12 Salmon Trout River.

13 Q And why is that significant?

14 A Well, because I would expect more impact from the proposed
15 mine at Eagle compared to the mines that I've seen here.

16 MR. HAYNES: Move to admit Petitioner's Exhibit
17 60.

18 MR. LEWIS: No objection.

19 MR. REICHEL: I have no objection to the fact that
20 this is a report. I do have a concern that the subject of
21 this document which is the Iron River District, is not a
22 foundation sufficiently established that the geologic
23 conditions observed in the Iron River District as defined in
24 this publication are transferrable to or equivalent to those
25 at the Eagle Mine site.

1 MR. HAYNES: I'll clear that up, your Honor.

2 Q Dr. Prucha, for purposes of modeling -- modeling surface
3 water impacts from a proposed groundwater dewatering, is it
4 important to understand the impacts at other kinds of mines
5 in the general vicinity?

6 A Yes, because I think fundamentally, even though there are
7 differences in the exact configuration and type of bedrock
8 material, components are pretty similar. You have
9 unconsolidated material, overlying bedrock. The bedrock's
10 fractured. They're pulling water from the bedrock, and
11 surface streams are interacting with the unconsolidated
12 material and the bedrock in both of these areas.

13 Q And so for purposes of modeling the effect of dewatering
14 underground for a mine and its effect on surface waters, you
15 would expect that a modeler would review experience at mines
16 nearby?

17 A Yes.

18 MR. HAYNES: Okay. Again move the admission of
19 Petitioner's Exhibit 60.

20 MR. REICHEL: Again I would note that it's still
21 established that, quote, "this is a mine nearby." I think
22 if -- when and if we get into this, if you look at the body
23 of the document, the area is located some considerable
24 distance away in the western Upper Peninsula.

25 Q Dr. Prucha, would that make a difference for you, that the

1 mines discussed in Petitioner's proposed Exhibit 60 in the
2 Iron River District are located some distance away?

3 A Not really, no.

4 MR. HAYNES: Your Honor, I think we've laid a
5 sufficient foundation for purposes of modeling to admit this
6 exhibit.

7 JUDGE PATTERSON: What was the number of the
8 exhibit again?

9 MR. HAYNES: 60.

10 JUDGE PATTERSON: I'll admit it over objection.
11 (Petitioner's Exhibit 632-60 received)

12 JUDGE PATTERSON: Would this be a good time to
13 break for lunch?

14 MR. HAYNES: Sure.

15 (Off the record)

16 Q Dr. Prucha, good afternoon. I would like to return for a
17 moment to Petitioner's Exhibit 61. And I'm looking at --
18 it's identified for the record as HMC006188 which appears to
19 be page 3? Okay. Page 3. And, Dr. Prucha, on the
20 left-hand column of this exhibit is there some texture that
21 is of particular significance to you in terms of using
22 nearby mines for comparison for modeling purposes?

23 A Yes.

24 Q And could you point that out so that we can enlarge it,
25 please?

1 A This paragraph here (indicating) in the upper left.

2 Q And, if you could, read the portion that you find

3 significant and tell us why.

4 A This part here (indicating) that says, "Induced recharge

5 from the Carp River at the Morris Mine exceeds 400 gpm."

6 Q And what is the Morris Mine, if you understand it, and where

7 is it located?

8 A It's a mine in the Marquette Mining District. It's about 15

9 miles or so from the Eagle Mine.

10 Q And what does the phrase "induced recharge" mean to you in

11 the context of your testimony today?

12 A Effectively here it means that because of dewatering it, the

13 Morris Mine, the study here has measured 400 gpm lost in the

14 Carp River that runs by it. But I point out here that this

15 mine is about 1,000 feet away from the river.

16 Q You mean the Morris Mine is about 1,000 feet away from the

17 Carp River?

18 A That's right, as opposed to the proposed Eagle Mine being

19 pretty much underneath the Salmon Trout River, and the

20 drawdown cone or extent of that drawdown from the Morris

21 Mine later in this report also indicates that it extends

22 about 10,000 feet downstream of the Carp River so about two

23 miles in terms of the zone that it's impacting along that

24 river, so --

25 Q And why would that be important from a modeler's

1 perspective?

2 A Because, a) it establishes that there is a connection
3 between the pumping in the Morris Mine and the nearby river,
4 a drop in the flow of the river.

5 Q Now, Dr. Prucha, I've had put on the screen on the first
6 page of what has been marked Petitioner's proposed Exhibit
7 64 what appears to be a paper entitled, "Underground
8 Hard-Rock Mining Subsidence and Hydrologic Environmental
9 Impacts." Do you see that?

10 A Yes.

11 Q Have you reviewed this paper for your testimony today?

12 A I did.

13 Q And what is the significance, if any, of this paper for
14 purposes of modeling proposed groundwater inflows into
15 proposed mines?

16 A Well, a couple of things: One would be that this is sort of
17 at a national level. So the first two papers that we went
18 over are within, say, 15 miles. And the next one was maybe
19 at 50 miles distance. This one is nationwide, and it
20 specifically points out as one of the study sites the Athens
21 Mine which is in this Marquette Iron Mining District area.

22 Q And how is that significant for you from a modeling
23 standpoint?

24 A Well, I wanted to see what the impacts were in terms of the
25 amount of mine inflow at the mine -- at the Athens Mine.

1 And also it points out that the subsidence issue is
2 something that doesn't just occur in Marquette Iron Mining
3 District or in the Iron River District.

4 Q All right. And we've pulled up now what's been marked
5 HMC006327 from this report which is page 10 of the report.
6 And is this where the discussion of the Athens Mine occurs?

7 A I'm not sure.

8 Q And what would be the significance from a modeling
9 standpoint of the fact that the Athens Mine is now mentioned
10 in a nationwide report dealing with subsidence?

11 A Oh, it's considered --

12 MR. LEWIS: I just want to note my objection for
13 the record, your Honor.

14 JUDGE PATTERSON: Okay.

15 A I think it's significant because it's pointed out of one of
16 many national mines that's had this problem associated with
17 it.

18 Q And the problem is a subsidence issue; is that correct?

19 A Right, and they acknowledge here that it's not just a mine
20 inflow problem, but it also is -- and they acknowledge that
21 subsidence affects both groundwater and surface water, the
22 mines that they go over in this report.

23 MR. HAYNES: Move admission of Petitioner's
24 Exhibit 64.

25 MR. LEWIS: The objection I've stated from time to

1 time, your Honor, as to the lack of necessary foundation
2 under our Michigan Supreme Court law on the subject, lack of
3 any necessary foundation of similarity to the only mine
4 that's at issue in this case and therefore lack of
5 relevance.

6 MR. REICHEL: I'll join in that objection.

7 JUDGE PATTERSON: I think I previously ruled
8 that -- consistent with previous rulings, I will admit
9 Exhibit -- I'm sorry. I missed the number again --

10 MR. HAYNES: 64.

11 JUDGE PATTERSON: -- 64.

12 (Petitioner's Exhibit 632-64 received)

13 Q Mr. Parker, we're back to slide 14. And I'd like you to, if
14 you can, talk about where the bedrock wells were monitored
15 in direction from the pump to L084.

16 A Well, I think what struck me about this pump task that was
17 performed is that the monitoring wells are largely oriented
18 east to west in relation to this pumped well instead of
19 trying to monitor possible fractures, faults that might
20 extend, say, for example along the north-west trending
21 mapped faults through the area. So in other words, I would
22 have put wells up in this (indicating) area to the north and
23 south and an area around the area that they're going to need
24 to dewater, for one, but not just sort of along an east-west
25 trend.

1 Q And would that have been best -- would that be best
2 practices for modeling for this kind of a situation?

3 A Yes.

4 Q Now, Dr. Prucha, I've had put on the screen what is
5 Kennecott proposed Exhibit 214, 2-1-4, which -- have you
6 reviewed this proposed exhibit?

7 A I did.

8 Q And what do you understand this exhibit to show?

9 A The presence of faults or fracture lines that are oriented
10 both north -- you know, roughly trending along this
11 (indicating) line north to south and also faults through the
12 area that appear to be oriented almost at 90 degrees to
13 that, that trend up.

14 Q And just so the record is clear, we have -- we're showing
15 the first page of this exhibit, and there seem to be two
16 figures. Can you identify the various features that we've
17 talked about this far, the orebody and so on, on these
18 figures?

19 A My understanding is these are just horizontal slices through
20 at different mine elevations and that the orebody I believe
21 is shown here in red. And the faults --

22 Q The green vertical lines represent what, Dr. Prucha?

23 A My understanding would be that those are boreholes.

24 Q Oh, I see. And again I apologize if I've asked you this
25 question, that this exhibit shows faults or dikes; is that

1 right?

2 A Faults.

3 Q And would you have expected those faults to have been
4 included in any model that predicts -- tries to predict
5 groundwater inflow into the mine?

6 A I would think that you'd need to include those. They're
7 water conductive, and I don't see any reason why they
8 weren't considered as not water conductive.

9 Q And did you see the -- did you see that these faults were
10 included in the mine -- in the model that you reviewed?

11 A I didn't see it in the model or their analysis. And I think
12 another significant point about this is that if you keep
13 going down an elevation, I see similar fault features at
14 various elevations. So it's not just something that occurs
15 in the lower bedrock unit as they've defined it.

16 Q And then the next page of this exhibit we see a couple of
17 figures. What do those show to you?

18 A Well, this figure on the top shows the drillhole trace map
19 with above holes on level 275 of the mine. The lower one
20 was sort of more interest because superimposed upon the
21 fracture traces or faults are the pump test wells that they
22 had performed in the bedrock.

23 Q Why is that significant?

24 A Well, for one, this was the first time I'd seen any
25 reference to the faults there oriented here east-west. And

1 these do appear to be significant because I see them in
2 multiple layers going through the different mine levels.
3 And to me, if I were developing a pump test to assess the
4 flow through the faults which are going to control the
5 amount of water flowing through the entire bedrock, which
6 again is going to dictate how much mine inflow occurs, you
7 want to design a test to acknowledge the existence of these,
8 have wells that cross those and demonstrate clearly that
9 they're connected or not connected.

10 Ultimately when I look at the pump test results,
11 it looked like when they pumped the lower bedrock in 084,
12 that I saw more of a east-west drawdown response. It seems
13 to support the notion that there may be connected fractures,
14 faults through this zone to the orebody. I don't see any
15 information that suggests that these couldn't continue on
16 and be further connected to the regional water conductive
17 faults. That would be a critical element in the bedrock
18 model that was used to predict mine inflows. So omitting
19 that and assuming that you only had a very short connected
20 fault is kind of presumptive in the sense that they
21 calibrated the model and say, "This is really the only
22 feature in here."

23 Q And do models normally, in your experience, assume that kind
24 of a condition when you have multiple faults and multiple
25 dikes in a bedrock system?

1 A No.

2 Q All right. Dr. Prucha, we've put on the screen Kennecott
3 proposed Exhibit 7, the Environmental Impact Assessment
4 Appendix D-2, Figure 2-1. And what does this figure
5 represent?

6 A Well, it shows a profile, a plan view of the boreholes in
7 the top relative to each other. And there are horizontal
8 lines showing the projection of where those wells extend to.
9 The bottom plot simply shows the vertical projection of
10 those boreholes in cross-section, and you can see the one
11 well that's at an angle. This is their well 84.

12 Q And well 84 is the well that was pumped; correct?

13 A That's right. And the significance of this is that if you
14 have identified near vertical faults through the area -- it
15 could be water conductive -- the chances of hitting one of
16 those near vertical water conductive faults is not that high
17 with a vertical -- near vertical well.

18 Q And as a modeler, what would you have done in order to model
19 the effect, if any, of the geologic structures that we've
20 talked about?

21 A Well, before modeling I would have tried to assess how --
22 you know, I would have located boreholes and wells in areas
23 where I suspected faults, large water conductive faults or
24 the dike that might be permeable. And if you did put
25 verticals boreholes, that those would have to be pretty much

1 right on those or going at an angle intercepting those and
2 then testing those zones. But you can see from this picture
3 that the majority of these are vertical and very localized
4 compared to the entire orebody of the entire mined area
5 which they'll be dewatering.

6 Q Now, Dr. Prucha, I've had put on the screen Kennecott
7 proposed Exhibit 7, the Environmental Impact Assessment
8 Appendix B-2, Figure 3-1, and what does this figure
9 represent to you?

10 A Well, this is in color originally, and this had different
11 geologic units on the left in this column and a legend
12 describing what the geologic material is over here
13 (indicating) on the right -- upper right corner. And then
14 you see a series of columns of lines and dots and at the top
15 different information like a caliper or resistivity,
16 conductivity, flow rate, test information that they collect
17 as they test the borehole through its vertical extent. And
18 the point that struck me here was that when you look at
19 these logs and the conductivity or the reverse of that, the
20 resistivity information, which the conductivity can be
21 translated into a TDS or, you know, effectively tells you
22 how much salt you might have in the fluid at a depth.

23 Q Excuse me. Let me interrupt you for a second. What does
24 TDS mean?

25 A Total dissolved solids. It's also an indication of -- it's

1 been indicated that the water at depth has a higher TDS than
2 the shallow pressure water, the surface water, and that this
3 boundary between the two defines an upper bedrock zone and a
4 lower bedrock zone.

5 Q You're saying that's what was interpreted here?

6 A Not from this information, but from this log, this
7 information doesn't appear to have been used to help refine
8 that definition of where the bedrock might be, upper or
9 lower.

10 Q And where would you -- how would you have used that
11 information if you were to design a model for this system?

12 A Well, you take all of these logs and align them vertically
13 so that they're at the same elevation. The comparison of
14 the curves that you see on this conductivity plot -- and
15 when it jumps out here, you get a higher value or higher
16 value of TDS. And this (indicating) is depth below ground
17 surface up here. Going down, that will tell you where you
18 get jumps in the formation of TDS.

19 Q And is that information relevant for purposes of modeling?

20 A Yes, because an important factor in the bedrock modeling
21 that was conducted is this definition of where an upper
22 bedrock zone and a lower bedrock zone occur and that contact
23 between the two. The upper bedrock zone is assigned a much
24 higher hydraulic conductivity. Water flows through it much
25 easier than the lower. And this -- if that zone had been

1 put down lower, which some of these logs indicate, I believe
2 that you would end up producing a higher mine inflow rate
3 just on that basis alone.

4 Q All right. We're looking at Figure 3-2.

5 A This is well 54. And the conductivity log shows a very
6 constant value for -- I can't make out what the depth is,
7 but it's maybe 125 meters below ground. The depth that was
8 selected without consideration of its uncertainty, was 90
9 meters, --

10 Q The depth for what?

11 A -- total vertical depth. For the break between the upper
12 bedrock and the lower bedrock.

13 Q And can you tell from these figures or from the other
14 materials you've read why that depth was selected?

15 A Well, from what I can see, it was based on a measurement in
16 well 85 where they measured the TDS and said it looked like
17 it had this value. And then they interpolated back up to
18 near the ground surface, and they estimated 90 meters total
19 vertical depth as the break.

20 Q All right. I think now we're at figure 3-6, and this looks
21 like well 84, Dr. Prucha?

22 A That's right.

23 Q And explain for us what you just testified to.

24 A Well, the conductivity in this well shows a very low value
25 to below 200 meters. The previous well 83, the previous

1 plot for well 83 showed a similar depth. There's another
2 well -- and by the way, 83 and 84 were sort of closer to the
3 western part of the orebody. And as you go to the east you
4 see higher and higher elevations for the conductivity. So
5 it seems like spatially there's a trend. But this suggests
6 to me that 90 meters, you know, they're claiming as an upper
7 bedrock up here (indicating), and really it could very well
8 be down 200-plus meters. And then this pulse actually goes
9 back to a low value, suggesting maybe there's fresher water
10 at depth below this. This also -- this depth down here
11 (indicating) of close to about 260 meters also seems to
12 suggest that this peak is where you have the -- this is
13 where they read the high TDS which happens to correlate
14 reasonably well with this conductivity jump here.

15 Q And the peak in the TDS would suggest what?

16 A Well, that you've hit a fracture zone right here
17 (indicating) that may not -- that may have a higher TDS in
18 it.

19 Q And what's the significance of that for modeling purposes?

20 A Well, again, the most important point is the definition of
21 this upper and lower bedrock zone. The upper bedrock was
22 modeled as being more permeable than the lower bedrock. And
23 the depth that gets assigned to this upper and lower bedrock
24 is important because in the lower bedrock, they assign
25 faults and put those in there, and in the upper bedrock they

1 don't. The upper bedrock, if you increase the permeability
2 and drop that depth and they're still mining in this upper
3 bedrock, it will produce more water as a mine inflow rate if
4 the depth is deeper.

5 Q Dr. Prucha, we've put up on the screen from Kennecott
6 proposed Exhibit 7, the Environmental Impact Assessment
7 Appendix B, as boy, 2, page 12. And there's some discussion
8 in here of field work. What is significant here for you?

9 A I believe this is where they indicate that the -- the fact
10 that you find high TDS at depth is indicating that it's not
11 well connected -- the zone is not well connected to the
12 surface water or shallow aquifer zone.

13 Q And what's the significance of that for purposes of
14 modeling?

15 A Again the upper and lower bedrock contact is an important
16 factor to have considered in the modeling. There was no
17 effort made in the modeling to consider the uncertainty of
18 that depth and its implication on the estimated mine inflows
19 or the dewatering extent, magnitude.

20 Q Dr. Prucha, for purposes of modeling and for modeling
21 bedrock flow systems, is it important to consider
22 groundwater flow direction?

23 A Yes.

24 Q And is it important to consider groundwater flow velocity?

25 A Yes.

1 Q And is it important to consider hydraulic gradients?

2 A Yes.

3 Q What is a hydraulic gradient?

4 A It is the change in the groundwater potential from a high
5 point to a low point over a certain distance. So a higher
6 gradient has a steeper slope. It's like walking on the
7 ground surface. And a flat gradient is walking on very flat
8 ground like in this room. A steep gradient is walking in
9 the mountains, and you would go from high points to low
10 points. It's what drives the water from high areas to low
11 areas in an aqua group.

12 Q And for purposes of modeling bedrock flow systems for -- in
13 a groundwater system, is it important to consider three
14 dimensional flow paths?

15 A Yes.

16 Q And why is that?

17 A Well, because water doesn't just flow horizontally. It
18 flows in a three-dimensional path. It can flow from the
19 lower bedrock to the upper bedrock or vice versa in addition
20 to moving laterally. So it's important to define the
21 three-dimensional flow path that water takes.

22 Q Dr. Prucha, I have put up on the screen from Kennecott
23 Exhibit 7 the Environmental Assessment Appendix B-3, page 41
24 which appears to have a table dealing with tunnels within a
25 weathered zone. Do you see that?

1 A Yes.

2 Q And what's the significance of this table for purposes of
3 modeling?

4 A Well, these were inflow estimates for idealized tunnel
5 within the weathered zone. Oh, I think it's the paragraph
6 here under 8-2.

7 Q All right. And read the portion of the paragraph that's
8 significant for you.

9 A The conceptual model for the bedrock groundwater system
10 below 90 meters true vertical depth is comprised of two
11 components on weathered bedrock that is controlled primarily
12 by matrix properties for the bulk of the rock mass and water
13 conductive fractures with moderate hydraulic high activity
14 with relatively sparse distribution."

15 Q And what does that mean for those of us who are not
16 hydrologists?

17 A Well, effectively they're saying below this upper bedrock
18 zone in the bedrock that they've defined, they're saying
19 that they see that faults exist in there but apparently
20 don't extend up into the upper bedrock.

21 Q And from the reports that you've reviewed and the slides
22 that you've put up previously and that you've testified to
23 previously, does that conclusion make sense?

24 A It doesn't.

25 Q Why not?

1 A Well, to have a permeable fault stop right at a boundary
2 that you've defined very loosely doesn't make sense. But
3 the fact is that if you have faults that are extensive and
4 the fact that we saw this Exhibit 214 suggests that these
5 faults do extend up through the upper bedrock. And the real
6 importance of this is that when you go to predict mine
7 inflow, by limiting faults to only the lower bedrock, you
8 prevented a pathway for the water going into the mine
9 dewatering system from impacting units above it. And I feel
10 that's not very realistic to assume that the faults end
11 right there at this presumed boundary. There doesn't seem
12 to be any evidence that I see to the contrary.

13 MR. REICHEL: Excuse me. Counsel, I apologize for
14 the interruption. Could you please state for the record
15 what page --

16 MR. HAYNES: Yes.

17 MR. REICHEL: -- and which appendix of the
18 Environmental Impact Assessment we have up there?

19 MR. HAYNES: It's Appendix B-3, --

20 MR. REICHEL: B3.

21 MR. HAYNES: -- page 41.

22 MR. REICHEL: I'm sorry. I don't mean to be
23 argumentative, but I have a hard copy of that document and
24 it doesn't seem to correspond. There may be something --

25 MR. HAYNES: Your Honor, let's take a short break

1 and try to clear this up.

2 JUDGE PATTERSON: Okay.

3 MR. HAYNES: I want to make sure we're all on the
4 same page here literally.

5 (Off the record)

6 JUDGE PATTERSON: We all set?

7 MR. HAYNES: Yes. Your Honor, I stand corrected.
8 The reference there is Appendix B-2, not B-3.

9 JUDGE PATTERSON: Okay.

10 MR. HAYNES: Thank you, Mr. Reichel.

11 Q Now, Dr. Prucha, following that correction, I've put up on
12 the screen from Kennecott Exhibit 2, the mining permit
13 application Appendix C-1, page 12, which has a discussion
14 about Eagle deposit geology. Do you see that?

15 A Yes.

16 Q And what of that discussion is relevant for purposes of your
17 testimony today?

18 A I think what I noticed on this was actually the paragraph
19 above that where it talks about joint patterns that often
20 align with stream patterns suggesting that they have
21 concerted control over the drainage development. I know
22 when I read through reports like Exhibit 60 and 61,
23 Marquette iron range, they pretty much stated the same
24 thing; that they saw that faults joint patterns tend to
25 align with the streams in the area. It suggests to me that

1 there's strong correlation with faulting which would occur
2 in the bedrock and the streams flowing over.

3 Q And did you see evidence in the models that you reviewed of
4 those factors being taken into account?

5 A No.

6 Q On the screen is from Kennecott Exhibit 7, the Environmental
7 Impact Assessment, Appendix B-1, figure 23. What does this
8 figure purport to show, Dr. Prucha?

9 A It says that it's plotting the A zone groundwater elevation
10 contours.

11 Q And what does that mean?

12 A This is the groundwater surface from what is referred to as
13 the A zone in the reports, the upper most permeable outwash
14 sand aquifer.

15 Q And for purposes of the model, do you consider the number of
16 wells here to be appropriate?

17 A No.

18 Q Why not?

19 A Well, the main mine impacts, the mine dewatering impacts
20 would occur around the tunnel and mining area and orebody.
21 And when you zoom into this area, that's where I would have
22 concentrated the number of wells to gain a full
23 three-dimensional understanding of the flow through all of
24 the unconsolidated material, not just the A zone. There's
25 another significant aquifer zone in the unconsolidated

1 materials in the Yellow Dogs Plain D zone which underlies --
2 is below the A zone, but it's separated over a good part of
3 the plains by a lower permeability sequence as B and C zone.
4 But the key point here is again the distribution and number
5 of wells around the key area of interest, which is the area
6 that will be dewatered.

7 Q And how many wells are there just for the record?

8 A In the area around the mine?

9 Q Yes.

10 A I see three alluvial -- it's hard to tell right here. But
11 the problem is that the system in this area for the
12 unconsolidated material is very complex. And usually you
13 design the distribution and locations of the wells to
14 correspond with the complexity of an area.

15 Q And do you see that happen -- did that happen here in the
16 model that you reviewed?

17 A No. There are complexities of units that are disappearing,
18 that are pinching out in this area. You have actually
19 bedrock that's exposed at the ground surface. There are
20 maps that I've reviewed that seem to indicate a really large
21 area is just void or absent with the unconsolidated
22 material, and that seems to be --

23 Q Let me back up. When you say the "unconsolidated materials
24 is absent," what does that mean in terms of the relationship
25 of bedrock to the surface?

1 A There's no more unconsolidated material overlying the
2 bedrock. The bedrock, if you're walking around out there,
3 you would walk over the bedrock at the surface.

4 Q I see. On the screen now is figure 24 from the same
5 Appendix, Appendix B-1. And what does this figure show, Dr.
6 Prucha?

7 A This shows the D zone "Groundwater Elevation Contours," the
8 title up in the upper right. This is the groundwater
9 elevation map, and really you can't see on the
10 black-and-white plot. But they have contour lines that show
11 the actual surface of the water -- this aquifer system. And
12 I guess some of the problems associated with a number of
13 wells on this plot are, again, around the mine key area
14 where you expect the most mine dewatering impacts to occur,
15 they're saying that the de-aquifer is actually missing in
16 these areas that are cross-hatched. And yet when you show
17 an outline like this with no question marks, it is extending
18 across the Salmon Trout River, and I see no wells or
19 boreholes to show that this area -- over most of that area
20 is actually controlled by points where you can actually
21 drill a borehole out here -- I don't -- this is a complete
22 guess right here. The D zone could be there, and I think --
23

24 Q You're saying that the cross-hatched area is a guess?

25 A Yes. Well, with -- outside of the areas where they are

1 showing actual boreholes. They have four points in this
2 area. And this is important because in terms of their
3 modeling to estimate the impacts of mine dewatering from the
4 bedrock system, you dewater that zone below this
5 unconsolidated unit where permeable aquifers disappear or
6 occur are really important in terms of how that drawdown
7 from the lower bedrock will impact the drawdown in the
8 unconsolidated units or aquifers, the A and the D zone.

9 Q Dr. Prucha, on the screen now is from Kennecott Exhibit 7,
10 Environmental Assessment, Appendix B-1, figure 13. What
11 does this show?

12 A In the report there are colored contours line. You can't
13 really see them here. But the point is that they have a
14 number of boreholes they've put throughout the orebody area
15 and the treatment area, processing area. And they've
16 estimated the thickness of the unconsolidated material or
17 the quaternary deposit. And where you don't see points
18 which represent boreholes, they have a lot of contours, no
19 question marks. This is a complete guess in these areas.
20 And yet this guess was never considered in terms of how it
21 impacts the estimates of mine inflow, how the mine inflow
22 dewatering would impact the overlying unconsolidated
23 material.

24 Q Are you saying, Dr. Prucha, that the contour lines that
25 extend out from the various well locations cannot be

1 interpolated?

2 A It's fine to interpolate an area. And by "interpolation," I
3 mean that between wells you know what the thickness is.
4 Maybe it's 60 feet at one point and 50 feet at another.
5 Between the two points, you logically assume they're
6 somewhere in-between; 55 feet. But in areas outside of
7 where you have good borehole controls, you are forced to do
8 what they call extrapolate, which means you're using data
9 points locally here to try and guess what is going on out
10 here to the south where you don't have control points.

11 Q And is extrapolation an appropriate method to use in
12 modeling groundwater flow systems?

13 A It can be used, but there has to go along with it an
14 understanding that you're introducing a lot of uncertainty
15 into the conceptual understanding of where water is flowing.
16 How thick is the aquifer? Is it 10 feet? 100 feet? In
17 areas where you don't have the boreholes, you can't say
18 anything about that or you can but you need to say it's plus
19 or minus a certain amount of distance and that --

20 Q And do you see such qualification in any the documents that
21 you reviewed?

22 A I did not.

23 Q What we have on the screen now is figure 12 from Appendix
24 B-5 of the Environmental Impact Assessment, Kennecott
25 Exhibit 8. What does this figure show, Dr. Prucha?

1 A This is a similar plot. The title is "Quaternary Deposit
2 Isopack." It's just the thickness of the unconsolidated
3 material. And this does show the contours pretty well in
4 here, and you see that they're defined by these dark lines.
5 And the pattern from this scale, I see contours almost two
6 bulls eyes right around the orebody and then East Eagle Rock
7 which are elevated with respect to -- the bedrock surface in
8 those locations is elevated with respect to the surrounding
9 countryside with I think we showed a cross-section before
10 that demonstrated that.

11 Q And how is that significant for purposes of modeling?

12 A Well, this has a strong control in terms of the thickness of
13 the unconsolidated materials overlying the bedrock where the
14 groundwater flows through those. Where it's thin, you don't
15 have as much water possibly flowing in the unconsolidated or
16 it gets -- the directions and flow rates get dictated by the
17 bedrock surface.

18 Q And did you see these contours taken into account in the
19 modeling?

20 A They did, but it's the uncertainty in the area where they
21 didn't have boreholes that I think they didn't consider.

22 Q Now, Dr. Prucha, we've put on the screen Kennecott Exhibit
23 7, Environmental Impact Assessment, Appendix B-1, figure 15.
24 And what does this show?

25 A Well, this plot shows the D zone groundwater elevation

1 contours, and they don't show up that well on the black and
2 white. But they're -- the point I was going to make about
3 this is that the contouring of both the A and the D
4 groundwater elevations in my opinion are very poor around
5 major features such as the Salmon Trout River.

6 Q Dr. Prucha, let me interrupt you for a moment. I misspoke.
7 This is Appendix B-1, figure 24, but go ahead.

8 A Okay. I think this is a really important part of the
9 characterization process where you collected water levels
10 and you've posted them and you're estimating where the flow
11 directions are going to go. And because of the lack of data
12 in a lot of areas like, for instances, no wells south and
13 west of the Salmon Trout River, you really can't say too
14 much about what's happening in this aqua zone in that entire
15 area. It's a very large area, and yet this is an area that
16 would be impacted the mine dewatering. Not accounting for
17 the flow directions around the Salmon Trout River, this
18 would have been a primary interest for me if I was going out
19 there and trying to assess how the river interacted with the
20 unconsolidated aquifers, how the bedrock interacts with the
21 Salmon Trout River, and yet there's very little in terms of
22 the number of wells and boreholes to tell you much in this
23 area that would be impacted by mine dewatering even with
24 their own modeling scenarios.

25 MR. HAYNES: Your Honor -- sorry -- we're going to

1 have another exhibit switch here. This will take a moment.

2 JUDGE PATTERSON: Okay.

3 Q While we're switching for the color version, Dr. Prucha and
4 I apologize. What we put up is Appendix B-1 to the
5 Environmental Impact Assessment, figure 15, Kennecott
6 Exhibit 7. What's significant about this figure, Dr.
7 Prucha?

8 A Well, the significance is in the area that's black here,
9 but --

10 Q Once again.

11 A I think I can still speak to that though. I think what's
12 important is this intrusive associated with the orebody.
13 It's visible even in the local area there at the surface.
14 The letters above the surface, QAO-008, is a well here and
15 to the left of that intrusive, QAL-004. This is the only
16 information they have in terms of the geology of these
17 aquifer units near the proposed mine facility and yet --

18 Q Would you expect more for modeling purposes?

19 A Yes; absolutely. And given the likelihood that you have
20 Brecciated zones that are acting as permeable conduits,
21 these aren't shown. They're not considered. Any faults
22 through the area aren't considered on this conceptual
23 hydrogeologic cross-section. I think another important
24 thing is in other cross-sections I've seen it seems to be
25 sort of confused where the actual country rock or

1 surrounding metasedimentary rock surface contact with the
2 unconsolidated material here shown in the black versus white
3 color, actually shows it smoothly going up to the intrusive
4 indicating that the intrusive was -- elevated the whole area
5 as it was intruded up the bedrock surface. And here it
6 shown going directly in, and then you show unconsolidated
7 materials. And with the color, you'll see them going
8 directly into the side of the intrusive. And I don't
9 understand geologically how that can occur. But
10 fundamentally this is the conceptual model that so many
11 books and standards indicate is absolutely necessary for
12 producing a good sound defensible model. And I see this as
13 a confusing diagram. It doesn't really iron out the details
14 before jumping into a model.

15 Q All right. Well, thanks to Mr. Eggan, again, we've put up
16 what appears to be the same figure and this is, for the
17 record, MDEQ 011171, and if you could then illustrate your
18 testimony, Dr. Prucha, with the colored stratigraphy shown
19 on this figure?

20 A Just pointing out the red lean clay here on the left and
21 right side of the intrusive. And again, my point about
22 layers coming horizontally straight into the intrusive and
23 the bedrock surface going straight in as opposed to being
24 carried up. No intrusive brecciated zone associated with
25 the dike. That's important because a lot of water from deep

1 down where the mining's going to occur, the tunneling could
2 easily interact with this -- not only the surface but the
3 stream we showed at the former cross-section that -- where
4 the intrusive was right under the stream. This one has it
5 over off to the side. But here are other things. This
6 green area here (indicating) is a clay glacial till.

7 Q What is a clayee glacial till?

8 A It is derived from glacial movement; it's really a mixture
9 of fine grained material. It's generally considered to be a
10 low permeability material, probably similar in hydraulic
11 properties to the red clay, the red lean clays down here.
12 But what's important about this is that it occurs in an area
13 where there are no boreholes, so I'm not sure what
14 information is used to define that that exists here. At the
15 borehole locations this information comes from the logs that
16 are collected in the field and used to define the aquafers.
17 The A Zone is this upper blue and the B Zone is this lower
18 zone.

19 MR. REICHEL: Excuse me, Counsel.

20 MR. HAYNES: Yes?

21 MR. REICHEL: Sorry to interrupt the flow of your
22 exam, but just so the record is clear the slide that you
23 have before this was Figure 15 from Appendix B-1. I was
24 able to verify that.

25 MR. HAYNES: Yes.

1 MR. REICHEL: This one, although similar, appears
2 to be from a different document. The previous one had a
3 cross-section B to B Prime; this is --

4 MR. HAYNES: C to C Prime.

5 MR. REICHEL: I just want the record to be clear
6 as to what document is being displayed; that's all.

7 MR. HAYNES: I appreciate that. So noted. All
8 right. Let's go to the next page.

9 Q Dr. Prucha, I've had put up from the Environmental Impact
10 Assessment Appendix B-8, Figure 23, which is Kennecott
11 Exhibit 11. What's the significance of this figure for
12 purposes of delineation of the stratigraphy?

13 A Well, the bedrock surface in this case you can clearly see
14 being elevated and it's clearly associated with the
15 intrusive on both sides. This controls the development of
16 the unconsolidated deposits, but there's very little
17 information around the actual intrusive. And this seems
18 important, because this is where a lot of the mining will go
19 on and the dewatering. And you can see that they have
20 projected a well or borehole here, QAL025 which is from some
21 distance, but there's not much control here. But I think
22 the most important point about this is in contrast to the
23 last cross-section conceptual hydrogeologic cross-section we
24 looked at. The last one had the bedrock going straight into
25 the dike; this one has it elevated. So I'm left wondering

1 which is it and what information do you use to define this.
2 To me, if I model this system, this is really critical
3 information in terms of translating the dewatering in the
4 mine -- the effects of the dewatering in the lower bedrock
5 up to the surface.

6 Q And did you see any indication in the models that you
7 reviewed of this -- these differences noted in the model?

8 A I did not.

9 Q All right. And just for the record, following up on Mr.
10 Reichel's suggestion; this Figure 23 shows a cross-section D
11 to D Prime, for the record?

12 A Right.

13 Q Okay. Dr. Prucha, we've had put on the screen from
14 Kennecott Exhibit 8 the Environmental Impact Assessment,
15 Appendix B-5, Table 2. What is the significance of this
16 table for purposes of your testimony today? Well, let me
17 lay some foundation, Dr. Prucha. Is it important for
18 purposes of modeling to consider the hydraulic conductivity
19 on consolidated materials?

20 A Yes.

21 Q And how does one normally go about doing that?

22 A There are a variety of tests that you apply in the field to
23 collect hydraulic conductivity or the hydraulic properties
24 of an aquifer system; there's some that you can do in a lab.
25 And there are different levels of quality in terms of the

1 uncertainty associated with the tests. The highest level --
2 and it's even acknowledged in the reports I reviewed -- are
3 pump tests where you pump one well and you observe the
4 drawdown response from that pumped well and surrounding
5 wells. And that's the best kind of test to perform because
6 it tests a much larger area of the aquifer.

7 Q And what other kinds of tests can be performed to determine
8 hydraulic conductivity?

9 A There are a variety of other sorts of tests, like -- I
10 noticed in their report they have done a number of slug
11 tests. This is where you introduce a small volume of water
12 into the well or you -- and watch the response from that
13 well; you don't monitor the response of surrounding wells.
14 So effectively that test only is giving you information
15 about that local well, around that local area. And my
16 experience is -- and there are pretty well documented
17 literature that you end up with a bias towards the low end
18 of hydraulic properties or hydraulic conductivity even up in
19 the order of magnitude plus where slug tests give you lower
20 than -- lower hydraulic properties than what you would get
21 from actually conducting a multiple-well pump test. Other
22 tests are doing -- collecting the soil from the actual
23 borehole and sending it to a lab and estimating the grain
24 sizes and you can estimate, but only roughly, what the
25 hydraulic properties would be. In other words, if you get a

1 value for a sand and you estimate it through this method the
2 uncertainty could be orders of magnitude, which is -- an
3 order of magnitude is about a factor of ten, so it could be
4 ten to maybe a thousand times in error.

5 Q And what kind of tests did you see performed in the reports
6 that you read dealing with a hydraulic conductivity?

7 A The majority by far were slug tests, seep tests, lab tests
8 which produce values but the uncertainty is the greatest in
9 those. And I saw one pump test in the unconsolidated
10 material for multiple wells and that was really to test the
11 interaction between the A aquifer zone and the D aquifer
12 zone.

13 Q And would you have expected -- would you have expected to
14 have seen in a model of this complexity that you've been
15 describing more than one pump test?

16 A Absolutely. For the complexity that I see based on my
17 review of the geologic logs, their plots, I would have
18 expected more pump tests to test a broader area in the
19 unconsolidated material; not only that, but between the
20 unconsolidated and the bedrock. And I had a -- well, --

21 Q And in terms of the tests that you observed, did you note
22 the length of the screens of the various tests that were
23 performed?

24 A I did.

25 Q And what was -- what's your observation about those screens?

1 A Well, it seemed like a lot of the wells were screened
2 much -- over a much shorter interval -- for example, five
3 feet -- when the actual aquifer zone, like the A or the D
4 zone, were on the order of 20, 30 feet thick and to me that
5 just simply -- by doing that it introduces more uncertainty
6 because the analysis is more complex and you induce flows
7 that aren't as simple for the analytic method, the method
8 that you would use to assess the hydraulic properties for.

9 Q Now, we've had put on the screen, Dr. Prucha, from Kennecott
10 Exhibit 8, the Environmental Impact Assessment, Appendix B-
11 5, Figure 9. And although it's in black and white and,
12 therefore, not quite as readable as before, what's the
13 significance of this figure for purposes of your modeling --
14 or for purposes of modeling?

15 A Well, I think the point to this plot here was that the mine,
16 I believe, is at -- the orebody is up here (indicating) and
17 the location of the one multiple-well test where they
18 pumped -- where they were looking at the interaction of the
19 pump test between A and the D zone to establish what level
20 of communication hydraulically they have -- they performed a
21 test well south of the actual orebody and it's confusing to
22 me why you would go and establish the hydraulic
23 communication in an area so far away from the area that
24 would be most impacted by mine dewatering. And another
25 thing is that when you look at the trend of the thickness of

1 the lower permeability units between the A and the D aquifer
2 zone in the unconsolidated material it actually thins
3 towards the mine and it's actually absent near that over
4 some distance or area that hasn't been well defined. But
5 the point is, if I were doing the test I would have put it
6 up by the orebody to test the influents there because that's
7 the area I'd want to know -- it has the greatest potential
8 for having dewatering from the lower bedrock impacting the
9 overlying unconsolidated material, and I wouldn't have put
10 it in an area that had a thicker zone between this A and D
11 aquifer of lower permeability units.

12 Q Now, Dr. Prucha, we're back to Kennecott Exhibit 7, the
13 Environmental Impact Assessment, Appendix B-1, Figure 23.
14 And the -- I apologize, but the figure doesn't show contours
15 very well, but on this figure are contours represented?

16 A I don't think I saw contours represented well on any of the
17 maps that I reviewed based on the wells and -- posted and
18 the obvious hydraulically significant features, such as the
19 Salmon Trout River.

20 Q And when you say "hydraulically significant," are those
21 features significant for modeling and are -- let me back up.
22 Would it be important to -- for modeling purposes to have
23 contours inputs -- contour inputs into the models?

24 A Well, for this kind of information you don't -- you enter in
25 as an input the groundwater elevation as an initial

1 condition, but really the importance of this data is in --
2 sort of two-fold. One is that you contour it up first,
3 which means you take this information and you estimate where
4 the groundwater flows based on contouring and the
5 contouring, if you have enough wells in the right location,
6 gives you a very good indication of how much interaction --
7 for example, you have between the Salmon Trout River and,
8 say, the A Zone of the unconsolidated deposits, let alone
9 the D aquifer zone, I don't even know from the available
10 data whether the intervening B and C Zone, the low
11 permeability unit between the A and D Zone is missing along
12 a significant portion of the Salmon Trout River. I don't
13 think it's been characterized well.

14 But this is the point where groundwater
15 information you have to establish an understanding before
16 you jump in the modeling of where you think the water is
17 going and base it off of good sound data. A key area should
18 have been an area right around the mine dewatering area. So
19 initial modeling could say, "Here's the mine impact area."
20 It looks like it's at least a mile in diameter over the
21 extent of the Salmon Trout River. Why don't we have more
22 wells in this complex unconsolidated system right there to
23 establish clearly just based on data, not even modeling what
24 the interaction is between the A and the D Zone and the
25 unconsolidated and the bedrock zone?

1 Q I notice on this figure, Figure 23, that there are some
2 arrows -- some sort of curved arrows pointing -- you know,
3 northerly direction. What do those arrows represent, to
4 your understanding?

5 A These are estimated flow directions of the groundwater in
6 this A Zone groundwater elevation.

7 Q And from the materials that you've reviewed do those
8 estimated flow directions appear to be accurate?

9 A No.

10 Q Why not?

11 A Again, a variety of reasons. Just even up in the northern
12 area I think there's confusion about whether the A and D
13 Zone even -- which zone occurs, whether the B and C Zone
14 pinch out; whether they know whether water is actually
15 flowing towards some of the seep locations. There's a
16 variety of things when you zoom in and look at the contours.
17 It looks around the Salmon Trout, the whole upper stream
18 area, in a large number of these contours it looks like the
19 contours are written right over the Salmon Trout River as
20 though it has no influence on the groundwater. So then
21 later I look at some of the modeling and it looks like the
22 contours are very sharply pronounced right around the river
23 indicating that some of the models reviewed it looks like
24 they are simulating kind of something what you would expect
25 where that's acting as a discharge point for the local

1 groundwater.

2 Q And would you find such contouring to be consistent or
3 inconsistent with the topography in the area?

4 A I would find it inconsistent.

5 Q And is that important from a modeling perspective?

6 A Yes.

7 Q Now, Dr. Prucha, we've put up from Kennecott Exhibit 7, the
8 Environmental Impact Assessment, Appendix B-1, Figure 30,
9 which is denominated the contours of the wetland study area.
10 Do you see that?

11 A Yes.

12 Q What is significant about this figure for purposes of
13 groundwater modeling?

14 A Well, again, this is another attempt to contour and
15 demonstrate that the flow directions of groundwater run to
16 this natural condition or factor it, and I have problems
17 again with where they've placed wells and what wells or data
18 they're using to help constrain the contours. And you don't
19 see those here, but there's a pretty big gap in the data
20 everywhere on the other side of the Salmon Trout River.

21 Q Now, you're pointing your laser pointer to the west and
22 south of the Salmon Trout?

23 A That's right. Immediately across from the orebody and
24 upstream to the west. In addition, the contours don't seem
25 to take into account what is commonly done to help constrain

1 groundwater contours in the area as the stage elevation or
2 average stage of the river flow through the system. And
3 that seems like a key to help constraining whether
4 groundwater is going into the river or going out at any
5 point. Although I believe most of this stretch is a gaining
6 reach on the stream; meaning, the groundwater is flowing
7 into the stream.

8 Q So can you tell, Dr. Prucha, from your analysis of the
9 documents whether the -- whether groundwater flow direction
10 can be verified in these documents?

11 A No.

12 Q And is that -- would that be important for modeling?

13 A Yes.

14 Q And why is that?

15 A Well, I think at this level if you can't understand the
16 contours you're introducing a lot of uncertainty in any
17 modeling exercise and say that the modeling is just destined
18 to not produce very reliable results because you don't
19 understand the basic system, and that is the fundamental
20 step in hydrologic studies that are conducted as the
21 standard.

22 Q Dr. Prucha, for purposes of modeling a groundwater flow
23 system, is it important to establish the hydraulic
24 communication between the bedrock and the unconsolidated
25 material?

1 A Yes.

2 Q And why is that?

3 A Well, you're going to be pumping water out of the bedrock
4 and that will create a drawdown in the bedrock and that
5 drawdown will induce an increased amount of flow from the
6 overlying unconsolidated material; the greater the drawdown
7 on the bedrock the greater the drawdown on the overburden.
8 So I think that's critical to understand where that occurs,
9 the extent over which it occurs and the magnitude of that.

10 Q And for some of the documents that -- or for the documents
11 that you reviewed, Dr. Prucha, did you note any documents
12 that showed that there was an absence of unconsolidated
13 material over bedrock in portions of the study site?

14 A Yes, in critical areas right around the orebody. And there
15 were several maps that I looked at that seemed to have just
16 one control point, but one map showed it extending for quite
17 a distance under the Salmon Trout River.

18 Q And did the groundwater flow models that you reviewed
19 consider these -- this feature?

20 A No, and it's important because if there are faults through
21 the area and brecciated zones that are conductive, the fact
22 that you have bedrock right at the surface -- and in one
23 cross-section we saw before that had intrusives right
24 underneath the Salmon Trout River -- this is a direct
25 connection with the mine dewatering and --

1 Q Go ahead. I'm sorry.

2 A -- flow rates significantly higher than estimated.

3 Q Now, for purposes of modeling is it important to
4 characterize the surface water flow system?

5 A Yes.

6 Q And why is that?

7 A Well, because that is where the drawdown from the mine
8 dewatering will eventually propagate, and without
9 characterizing the current system and its interaction with
10 the underlying unconsolidated aquifers and bedrock, it's --
11 you wouldn't be able to assess the relative impact when you
12 went in to predictive modeling. So you need to understand
13 that interaction now.

14 Q Now, Dr. Prucha, I'm putting back up for purposes of this
15 portion of your testimony Kennecott Exhibit 7, Environmental
16 Impact Assessment, Appendix B-1, Figure 30, which deals with
17 the wetland study area. And in terms of the spatial
18 distribution of the wells in the wetland area, what does
19 this figure tell you?

20 A Again, I don't think it's adequate to characterize the
21 stream-aquifer connection, so this is a pretty standard
22 terminology in hydrology these days and it just means that
23 if you have a stream that's connected hydraulically with the
24 underlying aquifer you need to characterize how much flow
25 goes in and out of the river and interacts with the

1 groundwater. And they have some wetland wells that they
2 show on the north side of the Salmon Trout River here but
3 they're shallow. And I think if you were doing a study to
4 assess this interaction over the length that would be
5 impacted by mine dewatering, you would put wells shallow and
6 deep; nested well pairs right below the river and assess the
7 interaction.

8 Q What is a nested well pair?

9 A A nested well pair would be wells that are screened at
10 different depths. Wetland wells they have here are nested,
11 but they only go down nine feet, nine and a half feet, and
12 the A aquifer zone is deeper than that. And I think to
13 fully establish this connection you'd just not want to do it
14 at two or three locations here but along a length that would
15 over -- where the mine dewatering would be impacting it.

16 Q Dr. Prucha, on the screen is from Kennecott Exhibit 11, the
17 Environmental Impact Assessment, Appendix B-6, Figure 6,
18 which is "Denominated Wetland Hydrological Classification."
19 And what's significant about this figure for you, Dr.
20 Prucha?

21 A Well, they had three different zones of the wetlands defined
22 on this map; one that was precipitation driven that was
23 largely over where the mine is but apparently only there and
24 not anywhere down to the south, and then they had a
25 groundwater-driven zone that was running adjacent to the

1 stream but not directly underneath it, and then a third
2 wetland zone that they called a "stream-driven wetland."
3 And I guess I was surprised to not see a detailed conceptual
4 picture, a cross-section through the orebody, through both
5 sides of the stream that clearly showed the dynamics and the
6 soil horizons, what's really controlling these zones and
7 showing arrows of where -- where does water really come in
8 and sustain these. Is it groundwater? Where does the
9 groundwater-driven system versus precip really end? Is
10 this -- are these boundaries seasonal? Do they vary
11 spatially? This is one plot in time perhaps.

12 Q And, Dr. Prucha, we've had in earlier testimony and exhibits
13 in this case some pictures of beaver dams along the Salmon
14 Trout River. Would beaver dams be significant for purposes
15 of groundwater modeling?

16 A Yes.

17 Q Why is that?

18 A Well, because they artificially dam the water up behind them
19 and increase the elevation of the stage of the water and
20 this could certainly mask potential fault discharge along
21 different lengths of the stream.

22 Q In your review of the documents -- the modeling documents,
23 did you see any discussion of the beaver dams?

24 A I did.

25 Q And was it sufficient for purposes of modeling in your view?

1 A It's really just a statement saying that it looked like they
2 were significant, but nothing seemed to be considered; it
3 wasn't considered in the modeling and didn't seem to be
4 considered in their conceptualization of the flow around the
5 critical orebody dewatering area.

6 Q Dr. Prucha, on the screen now is slide 31 from Petitioner's
7 Exhibit 63. Is this a slide that you prepared?

8 A Yes.

9 Q And what does it represent?

10 A Well, it represents a plot that showed post-closure
11 groundwater monitoring locations and I put flow arrows in
12 green where I think it would probably occur and I put the
13 orange boxes where I would put appropriate monitoring
14 locations downstream of the temporary rock storage area
15 closer to the actual stream.

16 Q And does this slide also indicate the placement of -- or the
17 proposed placement of monitoring wells for -- by Kennecott's
18 proposal?

19 A Yes.

20 Q And where would those be?

21 A They're shown with the circles with a cross through them.

22 Q And why did you place the orange boxes as opposed to --
23 where you did as opposed to where the monitoring wells are
24 proposed by Kennecott?

25 A To me those would be more likely to intersect any water

1 flowing through that had impaired water quality than where
2 their proposed locations are.

3 Q Can you tell, Dr. Prucha, based upon your experience whether
4 the proposed monitoring well locations proposed by Kennecott
5 would be able to determine the potential for measurable
6 impact on surface water?

7 A Would you rephrase that?

8 Q Sure. Can you tell from the proposed locations here
9 proposed by Kennecott for monitoring wells whether those
10 monitoring wells would be able to measure impact on surface
11 waters from the groundwater inflow to the mine?

12 A From their monitoring wells?

13 Q Yes.

14 A No.

15 Q And from their monitoring wells would you be able to
16 determine in your view the measurable impact on groundwater
17 from the groundwater inflow to the mine?

18 A Yes. The ones that I located were within their groundwater-
19 driven wetland, whereas the precipitation -- it seems like
20 the ones where they proposed were more in the wetland-driven
21 precipitation area, which conceptually doesn't seem like
22 it's being driven by the groundwater in that area. So if
23 there are groundwater impacts from lower mining propagating
24 up you might be more likely to see them as groundwater-
25 driven wetland area.

1 MR. HAYNES: Your Honor, I'm going to move into a
2 slightly different area. Perhaps we could take a break.

3 JUDGE PATTERSON: Okay.

4 (Off the record)

5 Q Now, Dr. Prucha, we put up on the screen Kennecott Exhibit
6 11, the Environmental Impact Assessment, Appendix B-6, Table
7 2 which talks about water elevation measurements. Do you
8 see this?

9 A Yes.

10 Q And the discrete water elevation measurements. What, Dr.
11 Prucha, about this table is significant for purposes of
12 modeling?

13 A There might have been the second page on this table. Is
14 there a second page on that? That's it.

15 Q All right. We'll try this one. What is significant about
16 this page? This is Table 2, second page.

17 A Well, this is where they've shown in the report a number the
18 wetland wells that they put in, piezometers, and they're at
19 different depths; one four and a half and nine and a half
20 feet below ground surface. And there are a number of F's
21 over on the right-hand column refer to "water thawed prior
22 to measurement" and I've never seen this before, but it
23 makes me question the validity of those actual water
24 elevations, the fact that they had to thaw the sample out.
25 The change in density; the fact that the material around

1 that immediately thawed zone would still be probably frozen.
2 I'm just not sure how to interpret that, but it seems like
3 it dramatically influences their estimation of the vertical
4 gradients that would occur over pretty -- a pretty small
5 vertical elevation. So --

6 Q And I note that the columns on this table show that
7 measurements were taken in November and December. Is that
8 significant for purposes of modeling?

9 A Well, probably it would have been nice to show what happens
10 during the summer months to know -- I mean, this really is
11 kind of a wintertime effort. The gradients -- if you're
12 trying to produce a model it would be nice to understand
13 whether the wells in these different wetland zones are
14 behaving dramatically different than the one plot that says
15 here are the three different zones.

16 Q When you say "it would be nice to know," would you consider
17 it best practices to take seasonal measurements in wetlands?

18 A Yes.

19 Q Dr. Prucha, on the screen now is Kennecott Exhibit 7, the
20 Environmental Impact Assessment, Appendix B-1, Figure 32,
21 and what -- this says, "Wetland Hydrologic Classification."
22 I think we've had this one before, but what does this show
23 for purposes of modeling for any relationship between the
24 stream and the wetland?

25 A I think I made the point on the last exhibit when you

1 brought it up.

2 Q It is important from a modeling perspective to show
3 groundwater discharges into streams?

4 A Yes.

5 Q And what is -- how is that important?

6 A In trying to determine the impact of the mine inflow
7 modeling -- or, you know, the impact from the mine
8 dewatering that was done in the bedrock model you need to
9 consider the groundwater discharge and estimate it through
10 measurements before connecting the modeling so that you have
11 something to compare against.

12 Q Dr. Prucha, is it important for purposes of modeling to have
13 an appropriate conceptualization of the flow in the system?

14 A Yes.

15 Q And why is that important?

16 A If you don't conceptualize the system well in the model that
17 you produce based on that conceptualization will be only as
18 good as the conceptual model. So if that's flawed, then
19 your numerical model will start off flawed.

20 Q Dr. Prucha, I've had put on the screen from Kennecott
21 Exhibit 7, the Environmental Impact Assessment, Appendix B-
22 1, Figure 6 which is the "Generalized Geologic Cross-
23 section." For purposes of a conceptualization of the flow
24 in the system, how is this exhibit important, if at all?

25 A Well, they produced a model that covers this area over the

1 Yellow Dog Plains that's noted on the upper left, and this
2 is a south to north cross-section. And I think the color
3 version of this would show the intrusive dike coming up in
4 here (indicating) in this -- through the sediments. But I'm
5 not sure how realistic this is to show just one conceptual
6 picture slice like this when you have a groundwater that's
7 flat here and then it suddenly drops off and mysteriously
8 disappears. I'm not quite sure I understand the mechanism
9 by how this all occurs. Does it have all of the important
10 features? I think one important feature they do show here
11 is that at the edge of the Yellow Dog Plains that the
12 topography does actually increase somewhat and I don't think
13 I saw any adequate explanation for why that might occur.

14 Q Now, Dr. Prucha, we've had put on the screen Kennecott
15 Exhibit 8, Environmental Impact Assessment, Appendix B-5,
16 Figure 34 which is another "Conceptual Hydrogeologic Cross-
17 section." What's the significance of this figure, if any,
18 for purposes of modeling?

19 A Well, I think here's another example of a conceptual
20 hydrogeologic cross-section for the system and I don't see
21 the intrusive dike here or the four others that look like
22 they traversed across this zone from the one exhibit that we
23 showed that was produced by their geologist. And they show
24 groundwater seeping out the site over here. I'm not sure
25 what the mechanism is for seepage over here (indicating)

1 well above a bedrock surface. But this also seems
2 inconsistent with the previous cross-section that I just
3 saw.

4 Q And how is it inconsistent?

5 A Well, just in -- for example, what I mentioned before, the
6 intrusive not being shown, faults not really being shown in
7 here.

8 MR. HAYNES: Courtesy of Mr. Eggen we're now going
9 to look at a color version of this.

10 Q This is, again, Figure 34, "Conceptual Hydrogeologic Cross-
11 section" from Appendix B-5 and in this color version what
12 does the blue represent, Dr. Prucha?

13 A That represents the area where the groundwater is -- that
14 aquifer is saturated. If you drilled down you would hit
15 groundwater at that point, at this contact, this upper
16 contact. This doesn't show the detail of the unconsolidated
17 material, the different aquifer zones that were defined; and
18 yet that seems pretty important not only around the mine
19 area but also at the discharge gallery TWIS, the Treated
20 Water Infiltration System.

21 Q Dr. Prucha, are you familiar with guidelines for
22 conceptualization in modeling?

23 A Yes.

24 Q And are the figures that we've shown here, Figure 6 from
25 Appendix B-1 and Figure 34 from Appendix B-5, consistent

1 with those guidelines for conceptualization?

2 A I would say no.

3 Q Why not?

4 A Well, again, when you produce a model you should produce a
5 model that is as defined as well as you can and if you do
6 identify alternative models or hypotheses that's sort of
7 your obligation to show why those alternatives aren't valid
8 and that the one you decide to use in predictions is more
9 valid than others. But there's a process that you go
10 through to eliminate those and I don't think that was
11 followed here or considered.

12 Q For purposes of modeling the inflow to this proposed mine,
13 how important is it to conceptualize the groundwater flow
14 system?

15 A I think it's critical.

16 Q And for purposes of the model how does the flow system then
17 feed into the model?

18 A Could you rephrase that?

19 Q Sure. The flow system that is described by Exhibit -- or
20 Figure 6 and Figure 34, these two exhibits; how is that flow
21 system then translated into the model for purposes of
22 deriving some sort of a prediction of the inflow into the
23 mine?

24 A Well, this conceptualization is used to guide the definition
25 of the structure of the numerical model that you develop,

1 how you see the interaction between the different aquifer
2 zones within. For example, the unconsolidated material; how
3 you see the interaction between the unconsolidated material
4 and the underlying bedrock and, for that matter, what code
5 you use -- what computer or mathematical code you use to
6 actually simulate the flow in the system. And it also is
7 important in terms of how you define things like boundary
8 conditions or conditions that control how the water gets
9 into the system and then how it gets out of the system.

10 Q Dr. Prucha, I've had put up on the screen the first page of
11 Petitioner's Exhibit 62, which is a "Groundwater Modeling
12 Guidance" from the Michigan Department of Environmental
13 Quality, draft 1.0 from, I believe, 1990- --

14 A 2002.

15 Q 2002. I'm sorry. Have you reviewed this document, Dr.
16 Prucha?

17 A Yes.

18 Q Have you in your career and your experience reviewed other
19 various modeling guidance documents from other states?

20 A Yes.

21 Q In your view are such modeling guidance documents helpful
22 for purposes of preparing models?

23 A Yes.

24 Q In your view are the guidelines that are in proposed
25 Petitioner's Exhibit 62 appropriate for modeling at the

1 Eagle Mine site?

2 A Yes.

3 Q Do the guidelines discuss worst-case modeling?

4 A Yes.

5 Q Is that appropriate?

6 A Yes.

7 Q Is worst-case modeling what some might feel to be equivalent
8 to conservative modeling?

9 A Yes.

10 Q Are the two phrases synonymous or equivalent?

11 A Yes, but I think sometimes you can get the word
12 "conservative" confused; you need to define is it
13 conservative one way or another. And by "worst case," the
14 way I interpret that is what is the worst case in terms of
15 how mine dewatering will impact, say, for example, the
16 aquifer, the A Zone aquifer, the shallow aquifer? The worst
17 case would be what's -- what do you think the largest
18 drawdown would be? What's the magnitude of that? What's
19 the worst-case dimension that would be impacted or area that
20 would be impacted?

21 Q And is worst-case modeling standard engineering practice?

22 A Yes.

23 Q Would such worst-case or conservative modeling use site-
24 specific data?

25 A I'm sorry?

1 Q Would such worst-case modeling use site-specific data?

2 A Yes.

3 Q And for a proposed underground mine what kind of
4 worst-case -- excuse me -- what kind of site-specific data
5 would you expect such worst-case modeling to use?

6 MR. LEWIS: Objection; foundation, your Honor.

7 MR. HAYNES: Your Honor, I'm not quite sure how to
8 respond to that objection. I think I've laid a foundation
9 for this witness to discuss modeling -- worst-case modeling,
10 underground mines, so I'm not quite sure how what I have to
11 do further.

12 MR. LEWIS: My objection goes to the lack of any
13 information about any experience that Dr. Prucha has had
14 with modeling the amount of water that might be expected to
15 flow into an underground mine, and the question was
16 specifically phrased in those terms.

17 JUDGE PATTERSON: I'm trying to recall if he
18 testified to any experience in that.

19 MR. HAYNES: Well, all right.

20 Q Let's be more general, Dr. Prucha. You have experienced
21 modeling groundwater inflows into underground structures;
22 correct?

23 A Yes.

24 Q All right. And that would include underground mines?

25 A Well, open pit mines, not necessarily underground mines

1 exactly like this, but --

2 Q Okay. But for purposes of groundwater modeling does the
3 structure make a difference if it's a mine, an open-pit
4 mine, an underground mine or some other underground
5 structure for purposes of groundwater modeling of inflows?

6 A No.

7 Q Okay. So what kind of site-specific data would you expect
8 for modeling water flow to a proposed underground mine?

9 A Would you repeat that?

10 Q Sure. What kind of site-specific data would you expect in a
11 model for purposes of modeling underground flow into an
12 underground mine?

13 A I would expect adequate numbers and locations of wells
14 throughout the bedrock and the unconsolidated material, a
15 zone that would be impacted by the mine dewatering.

16 Q And would site-specific data assist in limiting the range of
17 uncertainty in any models?

18 A Yes.

19 Q Would site-specific data assist in limiting the range of
20 uncertainty for baseline conditions of a model?

21 A Yes.

22 Q Do the guidelines, Proposed Exhibit 62, call for an
23 understanding of the importance of transport processes at a
24 site?

25 A Yes.

1 Q What are transport processes?

2 A Well, the movement of water and in this case contaminants in
3 the water.

4 Q Are transport processes related to site characterization?

5 A Yes.

6 Q And how so?

7 A Well, if you don't characterize how that transport of a
8 particular component in the water is moving, then it would
9 be difficult to model it accurately.

10 Q If you were to model the groundwater inflow into a proposed
11 underground mine in Michigan, would you consider the
12 groundwater modeling guidance prepared by the DEQ as part of
13 your task?

14 A Yes.

15 MR. HAYNES: Move the admission of Exhibit 62.

16 MR. LEWIS: No objection.

17 MR. REICHEL: No objection.

18 JUDGE PATTERSON: No objection. It'll be entered.
19 (Petitioner's Exhibit 632-62 received)

20 Q Dr. Prucha, in your view, has there been proper site
21 characterization of the flow into this system?

22 A No.

23 Q And why not, or how not?

24 A Lack of data in the right spots; lack of proper hydraulic
25 testing; lack of interpretation of -- poor understanding --

1 characterizations -- very poor characterization of an
2 interpretation of groundwater flow directions in the various
3 units.

4 Q Dr. Prucha, when we started with you today, you spoke of the
5 term "calibration of models." What does calibration
6 involve?

7 A It involves trying to reproduce the sorry -- the observed
8 system behavior. That would include groundwater levels in
9 wells that vary over time; the discharge of flow at rivers;
10 discharge from the groundwater system is evapotranspiration.

11 Q Can calibration include calibrating steady-state conditions?

12 A It can.

13 Q And can calibration of a model include calibrating transient
14 conditions?

15 A Yes.

16 Q And would you explain those two, please?

17 A Well, a steady-state calibration is what was done for the
18 models that I've reviewed here, and my opinion, it's the
19 basic level of modeling. And you can develop those kinds of
20 models, but it's pretty well-known in the industry that --
21 the practice that steady-state models often are associated
22 with large uncertainties and are associated with a problem
23 we call non-unique. In other words, the models that get
24 developed, you don't really have enough constraint on the
25 model to define hydraulic properties accurately within the

1 model to reproduce the system. And this is why the next
2 step of calibration is to go into transient calibration,
3 where you're trying to match the fluctuation, say, of
4 groundwater levels in time or discharge to a river.

5 And then the next step after that is -- and it's
6 stated in these -- this modeling guidance here by the DEQ,
7 is to go and verify that your calibration is correct. And
8 you can't do a verification on a steady-state model because,
9 by definition, the steady-state model only simulates a
10 constant groundwater elevation. Nothing is -- groundwater
11 moves through the system, but it's at a constant rate, and
12 it -- this non-unique problem, a good analogy to that is
13 that you have a bathtub and you're filling it with water at
14 some rate of inflow, and you have a pipe that you don't know
15 the size at the base of the bathtub coming out.

16 And you can pour in a huge amount of water, and
17 your objective is to simply match the water level in the
18 bathtub. But if you make the pipe at the exit larger or
19 smaller, you can maintain this. It doesn't -- you're not
20 calibrating the system. There are -- recharge can be
21 adjusted very high, and the pipe diameter can be adjusted
22 very high, and you can still get the same water level in the
23 bathtub. It's the same concept in the groundwater flow
24 model.

25 Q I see. In this case, based upon your review of the

1 documents, was transient modeling done?

2 A It was not.

3 Q If you were to model this system, Dr. Prucha, would you have
4 performed transient modeling?

5 A Well, they performed a transient model simulation, but they
6 did not do a transient calibration of the model for the
7 unconsolidated material. In the bedrock model that they
8 used for FEFLOW or developed with FEFLOW --

9 Q Wait. Let me stop you.

10 A Yeah.

11 Q "FEFLOW," a new term. What is it?

12 A It's a computer code that's used to simulate flow through a
13 groundwater system.

14 Q And is FEFLOW a model that is normally used by groundwater
15 modelers?

16 A It is.

17 Q I'm sorry. I interrupted you. Go on.

18 A In the FEFLOW model, they actually -- that they prepared,
19 they calibrate -- they say in their report that they
20 calibrate to the pump tests that they performed on this well
21 084 that we talked about earlier.

22 Q Now, Dr. Prucha, for purposes of predicting outputs from a
23 model, just outputs be produced as a single outcome or as a
24 range of outcomes?

25 A As a range of outcomes.

1 Q And why is that?

2 A Well, because your models by design are uncertain. And the
3 examples I give there are the contour maps we looked at
4 earlier of, say, for example, the thickness of the
5 unconsolidated material outside of the areas where they
6 actually have borehole data to constrain that estimate.

7 Q Dr. Prucha, is there something called code selection in
8 model design?

9 A Yes.

10 Q And what is that?

11 A Well, that's the process of selecting an appropriate
12 mathematical code. And I distinguish code from model in
13 that a code is actually the computer code or software that
14 was produced to develop a model. The model is of the actual
15 site. You develop a model of the actual physical site. But
16 there is a process where you go through selecting an
17 appropriate code that can simulation, for example, fracture
18 flow. Not all codes can simulate the flow of fractures --
19 flow-through fractures in a system. This is in fact why we
20 have read report -- the reports here on modeling that
21 indicated they used FEFLOW to model discrete fractures,
22 where they used the more-common code, MODFLOW, that was
23 developed by the USGS to simulate the unconsolidated
24 material. But they actually end up simulating the bedrock
25 later in later versions of the model.

1 Q And is it appropriate, in your view, to mix the two kinds of
2 models, FEFLOW and MODFLOW?

3 A No.

4 Q Why not?

5 A Well, for the reasons that they pointed out in their
6 document. FEFLOW has the capability of simulating discrete
7 water-conducting fractures, and MODFLOW really doesn't have
8 that capability. And so they -- that's -- that was one of
9 their main justifications for using FEFLOW, to simulate the
10 flow in the bedrock system, which was then used to estimate
11 the amount of mine inflow.

12 Q Dr. Prucha, are you familiar with the American Society for
13 Testing and Materials, --

14 A I am.

15 Q -- so-called ASTM?

16 A Uh-huh (affirmative).

17 Q "Yes"?

18 A Yes.

19 Q What is ASTM? What does it do generally?

20 A It's a standard. It's actually a series of quite a large number
21 of different standards that have been put forth by a group of
22 professionals in the industry. And the guidelines aren't
23 absolute, but they are used in the industry to help guide the
24 development of models that are more defensible and credible.

25 Q And, Dr. Prucha, are there ASTM standards for selecting

1 appropriate codes for modeling?

2 A Yes.

3 Q And have you observed any adherence to those standards in the
4 models that you reviewed for your testimony today for selecting
5 codes?

6 A They have statements as to why they chose their codes, but it was
7 certainly not rigorous, in my --

8 Q And is such rigor required for modeling?

9 A In this system I believe that it should have been.

10 Q You testified just previously about the two models that -- the
11 FEFLOW and MODflow models are the methods; correct?

12 A Yes.

13 Q In your review of the documents, is there a reason that you can
14 determine why two models were used here instead of one?

15 A I'm still unclear as to why they used two models.

16 Q And in your view, Dr. Prucha, from modeling this system, would it
17 have been preferable to use a single model?

18 A Yes.

19 Q Why?

20 A Well, the problem with using two different models, one for the
21 overburden or this unconsolidated material and the bedrock, is
22 that separating those two out leads to problems translating the
23 drawdown that you see and that develops in the bedrock to the
24 overlying unconsolidated material. And you're forced to choose
25 boundary conditions that aren't really appropriate and don't

1 really simulate what's really going on in terms of the
2 interaction between the unconsolidated material and the bedrock.

3 Q When you're forced to choose those conditions, is that
4 appropriate for modeling?

5 A I think there are better alternatives.

6 Q And what would those be?

7 A Using one single code like FEFLOW to model both the bedrock and
8 unconsolidated material.

9 Q Now, Dr. Prucha, we're going to back to figure 8.1 of Appendix
10 B-3. You spoke early on in your testimony about model
11 calibration. Do you recall that?

12 A Yes.

13 Q And was the bedrock model in this -- in the model that you
14 reviewed your calibrated?

15 A It was calibrated to the pump test performed at well 84 here.

16 Q I'm sorry. Let me back up for a second. What do you mean by
17 "calibration of a model"?

18 A Depends on the type of model you're trying to calibrate. The
19 model that's used here covers 87 square kilometers, which is a
20 large area. And you needed a model that size, because the
21 prediction of mine inflow is unknown at the beginning of the
22 simulations, but it's clear, even from the initial simulations
23 they do, that the area is 1 to 2 miles in size in terms of the
24 drawdown zone. The model that they're claiming to calibrate is
25 calibrated. It's calibrated to a pump test, and it's arguable

1 that you could calibrate to a pump test where wells are spaced
2 couple-hundred meters apart and extrapolate what you find there
3 over 87-square kilometers, and that doesn't consider the 4 mapped
4 miles-long dikes that they had that brecciated zones around them;
5 doesn't consider the faults that they'd mapped; the large
6 miles-long west-northwest-southeast-trending faults that seemed
7 to align with water drainage features.

8 Q Dr. Prucha, just for the record, the 87 square kilometers, for
9 those of us who think in terms of miles, what's that area in
10 terms of square miles?

11 A It's about 33 square miles roughly.

12 Q You spoke of the faults -- the east-west dikes and the
13 north-south faults, Dr. Prucha. How is the orientation of those
14 faults important, if at all, for purposes of calibrating a model?

15 A Well, the orientation that you put into your model -- impose on
16 your model ought to be consistent with what you're mapping. And
17 what was imposed in the models that I reviewed were a set of
18 north, south, east, west regularly spaced fault. But primary
19 issue I had with that is that they were only included in the
20 lower bedrock, and they did not extend to the upper bedrock,
21 which, just by design, doesn't allow any transfer of -- or much
22 transfer of the drawdown impact that you see in the lower mine
23 and dewatering into the overlying unconsolidated material.

24 Q In your view from a modeler's standpoint, is it realistic to
25 exclude faults in that way?

1 A No.

2 Q And is there such a thing in modeling called bias?

3 A Yes.

4 Q And how would you define bias in modeling?

5 A Where -- when you model you can choose to adjust parameters up or
6 down to look at worst-case or not-such-a-worst-case scenario, and
7 bias would be selecting things that maybe are biased towards your
8 opinion or what you want the outcome to be.

9 Q And would characterizing the faults here as ending in the lower
10 bedrock reflect any sort of a bias?

11 A I believe so, yes.

12 Q In what way?

13 A Well, again, if they had considered what I believe is more
14 realistic, the faults to extend all the way into the overburden,
15 this would have allowed direct connection between the dewatering
16 that's occurring in the orebody and tunnel area to translate up
17 into the overlying unconsolidated material and would have
18 impacted a larger area and larger impacts on the Salmon Trout
19 River.

20 Q Dr. Prucha, in your review of the documents, did you note whether
21 or not a FEFLOW model was used for 2004 model?

22 A Yes.

23 Q And in your view, was that FEFLOW model appropriate to use?

24 A Well, this model was the -- what was referred to as a preliminary
25 model -- preliminary numerical model, and that is the model where

1 faults or fracture zones were simulated in the model but only in
2 the lower bedrock zone. And effectively, this is like putting a
3 small permeable slit in a block of concrete and, if the slit is
4 entirely contained in the bedrock or the concrete block and it's
5 not allowed to connect to other permeable water bodies, there's
6 not really any effect of that fracture or fault.

7 Q In this 2005 FEFLOW model, what was the groundwater used in that
8 model? Was it constant, or was it variable?

9 A In the 2005 model?

10 Q Yes.

11 A The groundwater elevation was constant.

12 Q Is that appropriate?

13 A No.

14 Q Why?

15 A It doesn't reflect reality.

16 Q That is, groundwater is -- groundwater levels are variable;
17 correct?

18 A That's right. And in this case they didn't produce a map of the
19 water level in the bedrock, but you would assume that it was
20 probably close to what is in the overlying unconsolidated
21 material, and that certainly -- the number of maps that we've
22 seen here for the A and D zone show the gradients approximately.

23 Q And what is the effect on this -- or what would be the effect on
24 this 2005 FEFLOW model of using variable groundwater levels
25 rather than steady-state groundwater levels?

1 A More realistic inflows.

2 Q So in your view, is this -- are the results from the 2005 FEFLOW
3 model realistic?

4 A No.

5 Q What did those results predict for purposes of inflow into the
6 mine?

7 A For -- that model was referred to as the upper bound, and that
8 was 215 gallons per minute. Actually, their initial one, I
9 think, was 180 gallons after three years; sorry.

10 Q And so, Dr. Prucha, in your view, the upper bound limit for the
11 2005 FEFLOW model is not realistic at 215 gallons per minute?

12 A No.

13 Q Based upon the data that you've reviewed, do you have a view as
14 to what would be a realistic upper bound?

15 A I believe it's much high.

16 MR. LEWIS: Objection; objection; foundation, your
17 Honor. There's no foundation for this witness having done
18 anything which I assume would be necessary to present some
19 alternative calculation. I've heard nothing about the steps
20 taken by this witness. I've heard nothing about all these
21 modeling details, calibration of his model, none of that. I
22 don't believe there's any foundation for an opinion by this
23 witness as to some alternative modeling results.

24 MR. HAYNES: I'll rephrase.

25 Q Dr. Prucha, have you had a chance to go through the data

1 presented by Kennecott in its 2004 FEFLOW model to determine if
2 those data are sufficient for determining an upper bound?

3 A Yes.

4 Q And what would those steps be?

5 A I've looked at the four FEFLOW model exhibits which were FEFLOW
6 model input files, and this preliminary numerical model was used
7 to simulate several scenarios.

8 Q And did you in fact simulate several scenarios?

9 A Yes.

10 Q And did you then calibrate that model?

11 A No.

12 Q Were you able to -- do you think that -- based upon the data that
13 you had available, that you would be able to calibrate the model?

14 A No.

15 Q In your simulation -- Dr. Prucha, was your simulation similar to
16 that carried out by Kennecott?

17 A I used their model and their data as introduced in their -- you
18 know, in the file that I started with.

19 Q And based upon their data, were you able to arrive at a figure
20 for an upper bound inflow into the mine?

21 MR. LEWIS: Same objection, your Honor; same basis.

22 The witness has just testified in effect that he has no basis to
23 offer an alternative opinion. He would have no basis to offer
24 anything that's been calibrated and -- nor anything that would
25 apparently be realistic since that's the way he's characterized

1 all the modeling has gone before.

2 MR. HAYNES: I think I've laid enough of a foundation,
3 your Honor, for the witness to testify.

4 JUDGE PATTERSON: I thought he testified he couldn't
5 make a calculation from the data that he reviewed.

6 MR. HAYNES: Well, he said he didn't calibrate, but he
7 did testify that he used Kennecott's data in his model, and
8 that's what we're basing this on.

9 MR. LEWIS: Well, there's nothing about what he did
10 with that data; how he computed the data; what calculations he
11 did. And he's already testified it's not calibrated. He's
12 already testified that calibration is a necessary function to
13 derive any kind of result with any relevance to the Court, I
14 believe, your Honor.

15 JUDGE PATTERSON: I'll him to go ahead and answer it
16 if he can.

17 Q Dr. Prucha?

18 A That range, based on simulations I conducted, ranged from about
19 280 to over 3,000 g.p.m.

20 Q And the 280 to 3,000 g.p.m. is your range of uncertainty for this
21 model based upon Kennecott's data?

22 A Effectively, yes.

23 Q Now, Dr. Prucha, in your review of the models prepared by
24 Kennecott, did you also review a 2006 FEFLOW model?

25 A Yes.

1 Q And what is your understanding of the purpose of preparing the
2 second model by Kennecott?

3 A The second model apparently was calibrated to this pump test at
4 084.

5 Q And is that the only change between the 2005 and 2006 model?

6 A They made a change to the boundary condition at the surface
7 contact between the bedrock and the unconsolidated material.

8 Q And what was that change?

9 A A boundary condition, which changed it from a constant head
10 boundary condition, where they'd specified a constant head to
11 what they call a general head boundary condition, where they're
12 specifying a head or a water level and a conductance term or a
13 term that's used to define the flow between -- the resistance
14 effectively between the unconsolidated material and the bedrock.

15 Q And how would that change affect the model results between the
16 2005 and 2006 FEFLOW models?

17 A The 2005 FEFLOW model -- and I'm not sure if I'm correct on
18 this -- estimated 180 g.p.m. after three years. The 2006 FEFLOW
19 model estimated an upper bound mine inflow of 215 g.p.m. or
20 gallons per minute. And actually, you know, I'm going to make
21 one more clarification. The model that I -- the other model that
22 was produced that I reviewed was a model that they adjusted the
23 fault lengths in the north-south direction and got rid of faults
24 in the east-west direction. And I think I may have to correct
25 that that was what was calibrated to this model, where they based

1 their reevaluation of this pump test data and used that as the
2 basis for calibrating -- stating that the model was calibrated.

3 Q And in your view, was that appropriate?

4 A No. Because for this kind of model, it's not calibrated to the
5 actual flow in the bedrock system. So for example, they
6 developed another model that they claim is calibrated to the
7 unconsolidated material, and they try to reproduce the observed
8 groundwater flow directions and water levels, but in the bedrock
9 they don't try to do that at all, because they didn't have any
10 other bedrock wells other than these in this test.

11 Q Now, Dr. Prucha, did you review as part of your assignment here a
12 2005 baseline model for the unconsolidated quaternary deposit?

13 A Yes.

14 Q And how was the unconsolidated material model calibrated?

15 A That was calibrated at a steady-state level, and they used
16 groundwater levels and base flow estimated from the stream gauges
17 that are along the various stretches of streams.

18 Q And was the steady-state calibration one that was appropriate, as
19 far as you know, for purposes of preparing such a model?

20 A I would say that it's calibrated at a very high level.

21 Q All right. Dr. Prucha, I put up on the screen Kennecott Exhibit
22 8, the environmental impact assessment, Appendix B-5, page 6,
23 which has text dealing with boundary conditions. What portion of
24 this text was significant for you?

25 A I'm not sure that's the exhibit. Yeah, that's --

1 Q All right. We'll pass that exhibit. Dr. Prucha, you may have
2 testified abuse before, but what are boundary conditions in a
3 model?

4 A Things like rivers, evapotranspiration where water is being
5 pulled out by plants or soil evaporation, wells recharge, which
6 is derived mainly in this case through precipitation or rainfall,
7 snowfall.

8 Q And for the model that was produced for the bedrock flow --
9 excuse me -- the mine inflow in this case, what boundary
10 conditions -- what would boundary conditions be for such a model?

11 A For the bedrock model, did you say?

12 Q Yes.

13 A Well, you would have boundaries laterally. What was used in the
14 model were no-flow boundaries but --

15 Q Excuse me. Low-flow boundaries?

16 A No-flow boundaries, --

17 Q No-flow. Okay.

18 A -- where water is assumed not to flow in laterally. It all comes
19 in from above.

20 Q And for purposes -- I'm going to -- I'm sorry. I got a little
21 ahead of myself. I'm going to move back to the quaternary
22 deposit model. What was used as a boundary condition for the
23 quaternary model deposit -- the quaternary deposit model?

24 A They had recharge in at the upper boundary. They had the rivers,
25 like the Salmon Trout and the Yellow Dog were exchanging flows

1 with the shallow groundwater.

2 Q And how is bedrock system characterized in this quaternary
3 deposit model in terms of boundary conditions?

4 A In the 2006 quaternary deposit model? Is that the one you're
5 referring to?

6 Q Yes.

7 A Yeah. That was -- took the estimated flows from the FEFLOW
8 model, which is a separate model that simplified the boundary
9 condition, which represents the contact between the
10 unconsolidated material and the bedrock, and they took that
11 estimated flux or flow at every -- at a few points in their model
12 domain around the mine area and the tunnel area, and they imposed
13 that as a flux on their unconsolidated model at those locations.
14 And they calibrated -- they ran a transient model, where they
15 used every year a new flux from that bedrock model that was
16 calculated. And that seemed strange to me. I think the problem
17 with that unconsolidated model was that it wasn't re-calibrated
18 after a number of modifications were made, based on my review of
19 the report.

20 Q Dr. Prucha, is recharge an important parameter for modeling
21 groundwater systems?

22 A Yes.

23 Q And why is that?

24 A Well, typically, in models like this, there's a significant
25 control on the groundwater and your ability to calibrate a model

1 and on the -- it's one of the more sensitive parameters in the
2 model.

3 Q Do ASTM standards apply to recharge in models?

4 A I don't know the specific ASTM standard for recharge, but I think
5 it is acknowledged that parameters like recharge and hydraulic
6 conductivity can be adjusted in steady-state models, and you can
7 end up with non-unique solutions. In other words, you can adjust
8 either of those parameters and end up calibrating the model to
9 observe levels and discharge, and you really don't get a unique
10 set of parameters, which you're after to go predict. The idea --
11 objective is to determine hydraulic conductivity parameters
12 throughout the model so that you can calculate accurate
13 velocities. But if it's uncertain in terms of what those values
14 are, then this is this problem you get with steady-state
15 calibrated models.

16 Q I put up on the screen Kennecott Exhibit 8, Appendix B-5, figure
17 3, which is the bedrock geology of the Eagle Project area. Does
18 this exhibit illustrate how recharge was handled in the Kennecott
19 models?

20 A No.

21 Q Dr. Prucha, how, in your estimation, was recharge handled in the
22 Kennecott model?

23 A I don't think there was sufficient basis for defining the number
24 of zones and the values of recharge that were imposed on the
25 model. And this again is a very important parameter in a model

1 such as the unconsolidated deposit model.

2 Q Dr. Prucha, what is sensitivity analysis in modeling?

3 A It's a process where you adjust parameters or adjust model input
4 and assess the sensitivity of the output. And there are really
5 two types of sensitivity analyses that can be performed. One is
6 kind of associated with the calibration process. And there's
7 another process that I think is more important that I think was
8 not done here, and it's the sensitivity that you would do -- a
9 sensitivity analysis that you would do on predictive simulations.

10 Q And would you explain that for us, please?

11 A It's more important to do a sensitivity analysis on predictive
12 simulation so that you can assess the uncertainty of your
13 predictions based on range of uncertainty in your input
14 parameters. This is described in an ASTM standard pretty well.

15 Q And how did Kennecott's models handle the sensitivity analysis?

16 A My understanding is that they're more oriented at the calibration
17 process, and I'm not sure that they really used that information
18 beyond performing that and identifying that things that -- you
19 typically find when you simulate flows in, say, an unconsolidated
20 aquifer, you'll typically find that parameters like recharge and
21 hydraulic conductivity are the most important parameters
22 governing your solution or your estimates of where the water
23 table is and where it's discharging and how much.

24 Q And did you find those -- that kind of discussion in the
25 Kennecott models?

1 A No.

2 Q If you were modeling this groundwater flow regime, Dr. Prucha,
3 would you have used such parameters in your sensitivity analysis?

4 A I would have conducted a sensitivity analysis of -- you know,
5 associated with the predictive simulations that were done, and I
6 think I would have referred to the ASTM standards on that. When
7 you do sensitivity simulations, the ASTM standards have very
8 clear guidelines in terms of identifying different types of
9 sensitivities and how to document that.

10 MR. HAYNES: Your Honor, perhaps we could take a short
11 break here. I want to make sure that the next set of exhibits
12 are consistent with where we're going.

13 JUDGE PATTERSON: Okay.

14 MR. HAYNES: Thank you.

15 (Off the record)

16 JUDGE PATTERSON: Mr. Haynes, are we set?

17 MR. HAYNES: Yes, in just a few minutes.

18 Q Dr. Prucha, you testified about the 2006 model that you reviewed,
19 that Kennecott FEFLOW model; is that right?

20 A The bedrock model, yes.

21 Q The bedrock model. Did the 2006 FEFLOW model include upper
22 bedrock layers in the model?

23 A Yes.

24 Q Did the code used for this model, as far as you can determine,
25 allowed designation of discrete geological features in the model?

1 A Yes.

2 Q Do did the 2006 model re-calibrate for current conditions from
3 the 2005 model?

4 A Well, they didn't calibrate any of the bedrock models to actual
5 site conditions. They only claimed to calibrate the 2006 bedrock
6 model, which they used FEFLOW -- the FEFLOW code for to this 084
7 well pump test in the bedrock.

8 Q And, Dr. Prucha, did the modelers for Kennecott, as far as you
9 can tell, attempt to merge the unconsolidated and the bedrock
10 models?

11 A No.

12 Q Now, did the Kennecott modelers attempt to predict drawdowns from
13 mining in the groundwater flow regime --

14 A Can you --

15 Q -- in the bedrock model?

16 A Did they try and estimate the drawdown in the bedrock?

17 Q Yes.

18 A Yes, with the FEFLOW model.

19 Q And what was the drawdown that was predicted in the FEFLOW model?

20 A Well, it was equivalent to where they had their drains in the
21 mine at the different levels. I don't remember off the top of my
22 head what level that was but --

23 Q And in your view, does the bedrock model accurately predict
24 drawdown?

25 A No.

1 Q Why not?

2 A It's very much based on the assumptions of the faults, their
3 fault lengths, the vertical extent of the faults and how they
4 connect with the upper bedrock and the overburden. I believe the
5 assumptions that they had were very limited in terms of faulting.
6 They did not consider the permeable dikes that -- you know, the
7 brecciated zones around the dikes. They didn't consider the
8 major water-conductive features that were mapped in the area.

9 Q Now, Dr. Prucha, did you attempt to model the mine inflow for
10 this proposed Eagle Mine?

11 A I did.

12 Q And would you describe for Judge Patterson what you did for your
13 model?

14 A Yes. As opposed to trying to develop a new model from scratch, I
15 wanted to see what a more realistic range of the mine inflows
16 would be, so I started with a model I believed was the more
17 realistic model, which they claimed to be their upper bound
18 model. That was the -- this 2005 version of the model with
19 faults imposed on it that were 1 to 2 kilometers. Those were
20 short in terms of their extent laterally, but I believe they
21 actually didn't extend those faults vertically through the upper
22 bedrock, which really limits the amount of mine inflow to those
23 faults. So I -- that's just said conceptual problem right
24 upfront with that model. My new simulations were intended to
25 extend more realistic assumptions in these -- in this FEFLOW

1 model.

2 Q And what did you do?

3 A So I ran several simulations. One was starting with just
4 extending the upper boundary condition at the contact of the
5 upper bedrock and the unconsolidated material. They did not
6 simulate any flow in the unconsolidated material, which I think
7 was limiting. It was very presumptive to model that that way. I
8 put an actual thickness of the unconsolidated material in there,
9 which allows the model to calculate the amount of flow more
10 realistically to -- from the unconsolidated material into the
11 bedrock. And that was one scenario, where I think I came up with
12 a better boundary condition. That was -- that boundary condition
13 alone increased their upper bound estimate, which I thought was
14 more realistic of the two they'd done before from about 215
15 gallons per minute to maybe about 280 gallons per minute. The
16 next several scenarios were devoted towards assessing the effect
17 of vertically continuing their faults that they'd specified in
18 the lower bedrock through the upper bedrock so that they stopped
19 at the overburden or the unconsolidated material.

20 Q And, Dr. Prucha, why did you put those conditions into your
21 model?

22 A Because it doesn't make sense to me to stop discrete
23 water-conductive features that are more permeable in the lower
24 bedrock right at this upper bedrock and lower bedrock contact.

25 Q All right. And what else did you do for your model?

1 A Well, in addition to putting in those -- this extension
2 vertically on the fault, I extended them laterally. And probably
3 the most significant adjustment, which is well within reasonable
4 bounds of adjusting parameters, was I increased the permeability
5 of the actual fault zone by a factor of 10, and that one
6 particular simulation led to over 3,000 g.p.m. mine inflow. So
7 that's where I came up with this range of 280 to 3,000. If you
8 increase the fracture -- fault permeability, it would be even
9 greater inflows.

10 Q And would increasing the fault permeability be an ordinary task
11 for such a model?

12 A Yes. The uncertainty associated with major water-conductive
13 features in the area could easily have hydraulic properties that
14 are within what I simulated.

15 MR. HAYNES: Sorry, Judge. We're having one of those
16 electronic moments again.

17 Q Now, Dr. Prucha, we've put up on the screen Proposed Kennecott
18 Exhibit 399, which is a technical memorandum relating to
19 additional mine inflow predictions and sensitivity analysis. Do
20 you see that?

21 A Yes.

22 Q Have you had a chance to review this document?

23 A Yes.

24 Q And what is it that you understand this document to try to do?

25 A Well, it's a new model that was developed very recently. It has

1 a number of changes to it compared to the previous Fletcher
2 Driscoll and Golder models for the unconsolidated material.

3 Q And what changes are those?

4 A Well, they changed the number of model layers to represent the
5 unconsolidated aquifer system.

6 Q Is that appropriate?

7 A I think it's appropriate to use a new set of model layers, but
8 this model is similar to the previous ones and the problems that
9 I saw with the previous ones, which were it didn't consider
10 simulating the whole area of the bedrock that's be de-watered all
11 in one model. So you're not forced to try and guess what the
12 impact of mine dewatering is as it crosses into the
13 unconsolidated material. So this model only simulates the
14 unconsolidated material.

15 Q And what is the effect on the model outputs of such a simulation?

16 A I'm sorry. Could you rephrase that?

17 Q What is the effect on the model outputs of such a limited
18 simulation?

19 A Well, when I reviewed this report, my sense is that the model
20 output is somewhat uncertain like the previous models, because
21 it's based on the same characterization and conceptual model that
22 was presented before. And I don't see that this is any real
23 improvement over the former models for the unconsolidated
24 material.

25 MR. HAYNES: Your Honor, I'm going to go to Kennecott

1 Exhibit 591. But again because of a technical glitch, we don't
2 have the whole exhibit in our system. And I've asked Mr. Lewis
3 if he would be -- if he could be assisted to put it up on the
4 screen, and he's assented. So we're going to make a small
5 technical change here.

6 JUDGE PATTERSON: Okay.

7 (Off the record)

8 Q Now, Dr. Prucha, we've had put on the screen -- and I appreciate
9 Mr. Lewis' indulgence here -- Kennecott Exhibit 591, which is
10 labeled "Technical Memorandum" dated April 1, 2008, and it's a
11 draft. The subject is "Quaternary Groundwater Model." Do you
12 see that?

13 A Yes.

14 Q Have you had a chance to review this proposed exhibit?

15 A Yes.

16 Q And what is your understanding of what this -- what is contained
17 in this document?

18 A Well, this is the -- an updated, very recent model for the
19 unconsolidated flow system.

20 Q And have you had a chance to review it?

21 A Yes.

22 Q And does this quaternary groundwater model improve or not improve
23 the previous models that you've testified about?

24 A In terms of the drawdown estimates?

25 Q Yes, in terms of drawdown.

1 A I would say it's equally as uncertain as the previous models
2 developed.

3 Q And again, by drawdown, just for Judge Patterson's purpose --
4 edification, what do you mean by "drawdown"?

5 A In the unconsolidated material above the actual mine dewatering
6 that's occurring, it's going to be drawing water from that
7 unconsolidated material, so the water level in the aquifers above
8 the bedrock will start to -- the aquifer levels will actually
9 start to decline, and the drawdown is simply the difference
10 between what they start at and where they end at.

11 MR. HAYNES: Now, if we could, go to figure 25 of this
12 exhibit, which is about three pages from the end. Thank you.

13 Q Dr. Prucha, Figure 25 of Kennecott Exhibit 591 is labeled
14 "Simulated Head Change in Layer 2 Calibration Scenario 2." Can
15 you explain that designation for us?

16 A This is a plot just showing the change in the groundwater levels
17 and the de-aquifer. The red indicates a drop in the water level,
18 and the greenish color there is an increase in the groundwater
19 level.

20 Q Now, I noticed that, for purposes of explaining this -- the
21 contour lines on this figure, the red contour lines are in
22 positive integers, and the green contour lines are in negative
23 integers.

24 A Right.

25 Q So the positive integers mean a drop from existing?

1 A Right.

2 Q And the green and the negative integers means a rise in existing;
3 correct?

4 A Right.

5 Q So for the red contour lines, does this Figure 25 show the
6 orebody?

7 A It does.

8 Q And would you point that out with your pointer, please?

9 A It's in this area right here (indicating).

10 Q All right. And it seems to be in the center of all of the red
11 circles; correct?

12 A Yes.

13 Q And the red contour lines start at 0 -- I'm sorry -- start at
14 0.5, and then they increase in value to what around the orebody?

15 A 8.

16 Q And what does the "8" then signify?

17 A The drop in the water levels in that aquifer.

18 Q And this would be around the orebody?

19 A That's right.

20 Q So the new model prepared April 1st by GeoTrans suggests that
21 there would be a drawdown from the mine operations of 8 feet in
22 the water levels around the orebody?

23 A That's right. And this is for the case where they only simulate
24 60 gallons per minute.

25 Q And so under the simulation that you derived from your models of

1 between 280 and 3,000 gallons per minute, would you expect the
2 drawdown to be more or less from what this model shows?

3 A Substantially more.

4 Q Now, Dr. Prucha, if you can sum up your concerns with the
5 modeling that was performed for Kennecott for this case, what
6 would those concerns be in summary?

7 A I believe that models developed are inadequate to predict mine
8 inflows, because they weren't -- the underlying conceptualization
9 and characterization was inadequate. I believe that they
10 substantially underestimated the amount of mine inflow, and I
11 believe that they substantially underestimated the impacts to the
12 unconsolidated aquifer zones and the stream flow in the Salmon
13 Trout River.

14 MR. HAYNES: Dr. Prucha, thank you. I have no further
15 questions at this time.

16 MR. EGGAN: Your Honor, I think the ball passes to me
17 at this point. I would inquire of the Court's perspective on
18 this. I could begin. I probably have two and a half hours with
19 Mr. Parker. It's about almost -- well, it's five after 4:00.

20 JUDGE PATTERSON: Right.

21 MR. EGGAN: What I would propose to do is go back and
22 prune out some of the information that has already been elicited
23 from Mr. Parker that I probably would have asked about. Do you
24 mind if we end now and pick up with him tomorrow at 8:30?

25 JUDGE PATTERSON: No; on that assurance, certainly not

1 at all.

2 (Hearing adjourned at 4:07 p.m.)

3 -0-0-0-

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25